

STATE OF MAINE  
BOARD OF ENVIRONMENTAL PROTECTION

IN RE: APPLICATIONS BY STATE OF MAINE  
BUREAU OF GENERAL SERVICES FOR  
PROPOSED EXPANSION OF THE JUNIPER  
RIDGE LANDFILL

\*\*\*\*\*

October 18, 2016  
Cross Insurance Center  
Bangor, Maine

CHAIRMAN: JAMES PARKER

BOARD MEMBERS:

- Alvin Ahlers
- Kathleen Chase
- Mark Draper
- Thomas Dobbins
- Thomas Eastler
- Jonathan Mapes

OTHERS PRESENT AT PANEL TABLE:

- Mary Sauer, Assistant Attorney General
- Cynthia Bertocci, BEP Executive Analyst
- Ruth Ann Burke, BEP Administrative Assistant

21

DEPARTMENT STAFF MEMBERS PRESENT:

- Kathy Tarbuck                      Victoria Eleftheriou
- David Burns                         Steve Farrar
- Richard Behr                         James Beyer
- Lynn Caron

25

1 Caribou. I actually reside in Veazie. Here with  
2 the Board we have Mary Sauer. She's the assistant  
3 attorney general and counsel to the Board. She's  
4 to my right. To my left is Cindy Bertocci. She's  
5 the Board's executive analyst. Way over to the  
6 left we have Ruth Ann Burke. She's the Board's  
7 administrative assistant and to the right of us we  
8 have the DEP staff which consists of Richard Behr,  
9 Steve Farrar, Kathy Tarbuck, Victoria Eleftheriou,  
10 if I pronounced that right, David Burns, Jim Beyer  
11 and Lynn Caron. The hearing is being recorded and  
12 transcribed by Joanne Alley from the firm of Alley  
13 & Morrisette Reporting.

14 This hearing is being held by the Board  
15 pursuant to the Maine Administrative Procedures  
16 Act, Title 5, Sections 9051-9064, Department of  
17 Environmental Protection statutes Title 38 MRSA  
18 Sections 341-D(2) and 1310-S(2), and the  
19 Department's Chapter 3 Rules Governing the Conduct  
20 of Licensing Hearings.

21 Notice of the hearing was published in the  
22 Bangor Daily News on September 17th and October  
23 8th, 2016, notice was also sent to the parties,  
24 all persons owning property abutting the landfill  
25 site, affected municipalities, area legislators

1 (This hearing was held before the Board of Environmental  
2 Protection, Cross Insurance Center, Bangor, Maine, on  
3 October 18, 2016, beginning at 9:00 a.m.)

\*\*\*\*\*

5 CHAIRMAN PARKER: Good morning. I now  
6 call to order this hearing of the Board of  
7 Environmental Protection on the Applications by  
8 the State of Maine Bureau of General Services for  
9 a 9.35 million cubic yard expansion of the Juniper  
10 Ridge Landfill in Old Town and Alton. The Bureau  
11 of General Services has filed the following  
12 applications: Maine Hazardous Waste, Septage and  
13 Solid Waste Management Act and Solid Waste  
14 Management and Recycling Law application number  
15 S-020700-WD-BI-N, and Natural Resources Protection  
16 Act application number L-024251-TG-C-N.

17 My name is James Parker. I'm the Chair of  
18 the Board of Environmental Protection and I am the  
19 presiding officer for this hearing. Other Board  
20 members here today are, I'll start way over to my  
21 left, okay, is Tom Eastler from Farmington, next  
22 to Tom is Kathy Chase from Wells, next to Kathy is  
23 Jonathan Mapes from Springvale, to my immediate  
24 right just two over is Alvin Ahlers from Yarmouth,  
25 Tom Dobbins from Scarborough and Mark Draper from

1 and all persons on the Department's interested  
2 persons list for this project.

3 During the hearing, the Board will receive  
4 evidence from the applicant, Bureau of General  
5 Services, and from the applicant's landfill  
6 operator, NEWSME Landfill Operations, and  
7 intervenors City of Old Town and Edward Spencer.  
8 Other intervenors in this proceeding who may also  
9 participate in cross examination are area resident  
10 Dana Snowman and abutting property owner SSR, LLC,  
11 represented by Chip Laite.

12 The sworn testimonies of the parties was  
13 pre-filed in advance of the hearing. The  
14 testimony is part of the record and the Board  
15 members have received copies. A copy of the  
16 pre-filed testimony and the application are  
17 available at the hearing today for inspection.  
18 Any person wanting to inspect the file should  
19 speak to Kathy Tarbuck during a break in the  
20 hearing. The pre-filed testimony and application  
21 are also available on the Department's website.

22 Today's hearing will begin with testimony  
23 from the applicant this morning, followed by cross  
24 examination of the applicant's witnesses this  
25 afternoon. The Board will hear testimony from Dr.

1 Stephen Coghlan, a witness for intervenor Edward  
2 Spencer, this afternoon. He has conflicts so  
3 we've moved him into the afternoon. Testimony by  
4 Edward Spencer and the City of Old Town are  
5 currently scheduled for tomorrow morning.

6 The Board will hear testimony from the  
7 general public this evening at 6:00 p.m. If  
8 public testimony is not concluded this evening,  
9 the Board will hear additional public testimony  
10 tomorrow at 1:00.

11 Please note that Members of the Board,  
12 counsel to the Board and DEP staff may ask  
13 clarifying questions of persons testifying at any  
14 time, although the Board and the staff will  
15 generally hold their questions until completion of  
16 the cross examination, and I encourage the Board  
17 members to do so because, if not, we can get into  
18 long drawn out conversations before we get the  
19 testimony.

20 If there are any members of the public  
21 here today who would like to ask a question of a  
22 witness, you must submit your question to me in  
23 writing. Paper is available at the water station  
24 for this purpose. That's up back on the left side  
25 of the building from here. Please leave your

1 this matter into the record. The file documents  
2 that I've brought to the proceeding are located  
3 here at the side table in the front portion of the  
4 room. Thanks.

5 CHAIRMAN PARKER: Thank you. For a little  
6 additional information, we plan to break at noon  
7 for lunch and at 5:00 for dinner. So we'll have a  
8 productive day hopefully, and the first witness  
9 will be -- the first presentation will actually be  
10 by the applicant.

11 MR. DOYLE: Good morning, Mr. Chairman and  
12 Members of the Board, and welcome to this public  
13 hearing on this important state infrastructure  
14 project, the Juniper Ridge Landfill Expansion.  
15 I'm Tom Doyle of Pierce, Atwood, and with my  
16 partner, Brian Rayback, we represent NEWSME  
17 Landfill Operations, the operator of the Juniper  
18 Ridge Landfill and co-applicant with the Bureau of  
19 General Services for this landfill expansion.  
20 Assistant Attorney General Bill Laubenstein is  
21 here as well representing the Bureau of General  
22 Services. We're going to introduce each of our  
23 witnesses before each testifies but before doing  
24 that, I wanted to let you know that we have other  
25 experts who have worked on this application and

1 questions on the table and staff will collect them  
2 periodically. I will review the questions, make a  
3 determination as to their relevance and ask the  
4 questions as time permits.

5 At the conclusion of the hearing, no  
6 further evidence or testimony will be allowed into  
7 the record except for matters specifically  
8 identified by the Board. These matters will be  
9 identified before the close of the hearing. At  
10 this time I ask the witnesses for the parties to  
11 stand and be sworn in, all the parties, please.  
12 Raise your right hand. Do you affirm that the  
13 testimony you're about to give is the whole truth  
14 and nothing but the truth?

15 **(WITNESSES RESPOND IN AFFIRMATIVE)**

16 CHAIRMAN PARKER: Thank you. Are there  
17 any questions about the procedure before we begin?

18 At this time I'll ask the staff to enter  
19 the application into the file -- into the record  
20 for the hearing. Kathy?

21 MS. TARBUCK: Good morning, Board Chair,  
22 Board Members and all attendees. My name is Kathy  
23 Tarbuck and in my role as Department project  
24 manager for the Juniper Ridge Proposed Expansion  
25 Application, I'm entering the Department's file in

1 are present today but whose topics have not been  
2 in controversy either in agency comments or in  
3 pre-filed testimony. They are -- and I'll just  
4 ask them to raise their hands -- Tom Gorrill of  
5 Gorrill Palmer on traffic, Rob O'Neill, Epsilon  
6 Associates on noise, Mark Johnson, SMRT, visual  
7 analysis, Eric Steinhauser, Sanborn, Head and  
8 Associates, landfill gas, and Jake Reilly,  
9 Stantec, on fisheries.

10 I wanted the Board to know that they are  
11 here to respond to questions if you have any such  
12 questions, and other than that, I'm going to turn  
13 this over to Bill Laubenstein to introduce our  
14 first witness. Thank you.

15 MR. LAUBENSTEIN: Good morning, Chairman  
16 Parker. It's a pleasure to be here this morning  
17 and have the opportunity to introduce the first  
18 witness for the applicant. Our first witness is  
19 Mike Barden. He's the manager of state-owned  
20 landfills, he's had this position since 2012.  
21 Mike has had a number of positions, both in the  
22 private sector and the public sector. He's served  
23 as the senior energy planner in the Governor's  
24 office, he's served as a grant administrator for  
25 Efficiency Maine Trust and for the Maine Public

1 Utilities Commission. He was a director of  
2 environmental affairs for Maine Pulp and Paper  
3 Association and most significantly, he was  
4 division director of Solid Waste Licensing and  
5 Enforcement with the Maine Department of  
6 Environmental Protection. Mike has a bachelor of  
7 science degree in chemistry and microbiology and a  
8 master's degree -- a master of science degree in  
9 natural resource planning. If you're interested  
10 in his resume, it's BGS and NEWSME Exhibit #1.

11 So it's a pleasure to introduce Mike  
12 Barden. Mike?

13 MR. BARDEN: Good morning, Chairman  
14 Parker, Board Members. You have my direct  
15 testimony so I'm just going to give you a quick  
16 summary of that.

17 So this all is sort of background  
18 information. It started with the state ownership  
19 of landfills in 1989 when the Legislature  
20 essentially banned new commercial landfills. So  
21 as a result of that legislation, the state has  
22 since acquired three landfills. One of them is  
23 located in East Millinocket, that's the Dolby  
24 Landfill. It's basically going through closure  
25 now. It was primarily accepting waste from the

1 it's a duration of a 30-year contract. Casella  
2 was given the exclusive rights to operate that  
3 landfill, to collect all revenues from that  
4 landfill, the revenues -- the tipping fees at the  
5 landfill are actually capped pursuant to the  
6 operating services agreement. They're adjusted  
7 each year by the Consumer Price Index.

8 The statute also requires a state-owned  
9 landfill to provide host community benefits to the  
10 communities that are actually within the  
11 boundaries of the municipality. So in this case  
12 it's the City of Old Town and they -- Casella has  
13 also negotiated an agreement with Alton because  
14 approximately a few miles of the access road is  
15 within Alton municipal boundaries, so they have  
16 agreements with both of those facilities -- both  
17 of those communities. So from 2004 through June  
18 2016 of this year, the -- Casella has actually  
19 paid approximately 13 million dollars in host  
20 community benefits to the City of Old Town and  
21 approximately one million dollars to Alton for  
22 hosting this site.

23 Just in terms of what's taken place since  
24 the State Planning Office took over the facility  
25 in 2004 pursuant to the Resolve, the State

1 Great Northern Paper Mills in East Millinocket and  
2 Millinocket. There's another landfill that the  
3 state acquired from Lincoln Pulp & Paper in the  
4 mid nineties. That is a permitted site but it's  
5 undeveloped. It's located off the interstate --  
6 off the Lincoln interstate in unorganized  
7 territory and the subject of the expansion  
8 application today is the Juniper Ridge Landfill  
9 that was acquired from Georgia-Pacific in 2004  
10 pursuant to a Legislative Resolve, Chapter 93.  
11 That Resolve stipulated that the state -- at that  
12 time the ownership resided with the State Planning  
13 Office -- stipulated that the state would go out  
14 to a competitive bidding process to get a contract  
15 operator and the state did that. In 2004 -- they  
16 acquired the facility from Georgia-Pacific in 2004  
17 and then did a request for proposals for  
18 competitive bids. That was awarded to Casella  
19 Waste Systems. The Resolve also required that the  
20 -- that the -- that operations of the landfill be  
21 revenue neutral to the state. So essentially the  
22 state did not incur any general fund money to  
23 purchase the facility, and also when the state  
24 negotiated the operating services agreement with  
25 Casella in 2004, that agreement is in the record,

1 Planning Office was actually eliminated in 2011.  
2 Those responsibilities, including oversight of the  
3 landfill, was transferred to the division -- the  
4 Department of Administrative and Financial  
5 Services, the Bureau of General Services within  
6 that agency, they actually have ownership of the  
7 site now, and the position of managing these three  
8 state landfills resides with the Department of  
9 Economic and Community Development, and we've  
10 included an Exhibit 2 in the record on an MOU  
11 between the two agencies.

12 Now, in terms of the operations at JRL,  
13 and my oversight primarily at JRL is to ensure  
14 that they're in compliance with the Operating  
15 Services Agreement. DEP takes care of the  
16 regulatory issues, we take care of the contract  
17 issues, and Jeremy Labbe has provided in his  
18 direct testimony and his rebuttal testimony the --  
19 the extent of the recordkeeping that Casella does  
20 to ensure that no out-of-state wastes are coming  
21 into the landfill. They provide me with monthly  
22 reports that include, among other things, a  
23 summary of the month's hauling to the landfill.  
24 So they basically categorize it by the waste  
25 hauler, the tonnage, the generator who generated

1 the waste, the county that it came from and then  
2 they have a unique profile manifest number with  
3 that. So I have reviewed -- I receive these  
4 monthly reports, I collate all these, I send them  
5 out to the Juniper Ridge Advisory Committee on a  
6 monthly basis, I also provide these reports to the  
7 City of Old Town and the Town of Alton, I also do  
8 compliance inspections at the facility several  
9 times during the course of the year so I review  
10 the records, I do randomly select manifests that  
11 they have in their recordkeeping system, both  
12 electronically and paper copies, I spend some time  
13 at the scale house observing haulers when they  
14 come in and how they're ticketed and the manifests  
15 are handled by the scale house operator.

16 The -- there was also a public benefit  
17 determination, as we're all aware of, that was  
18 issued in 2012, something like that, indicating  
19 that this capacity is needed. In reality, the  
20 Juniper Ridge Landfill will be out of capacity in  
21 2019. If all of the waste were diverted and this  
22 expansion is not approved, the waste would have to  
23 go somewhere. Approximately 700,000 tons would  
24 have to be diverted to another landfill within the  
25 state or out of state too. There's really only

1 one commercial landfill left in the state that is  
2 permitted to take the same kind of waste right now  
3 as Casella is taking at Juniper Ridge Landfill.  
4 By my calculations, if all of this tonnage was  
5 diverted to that one particular landfill, that  
6 landfill would be out of capacity in 2020 or 2021.  
7 That would be the timeframe.

8 I thank you and if you have any questions,  
9 I'd be happy to answer them.

10 CHAIRMAN PARKER: Board members, any  
11 questions? Mr. Barden, I have one question. It's  
12 a question that's going to come up later in the  
13 hearing so we might as well at least broach it now  
14 and look into it. Under the state's hierarchy of  
15 solid waste disposal, the state has a set of  
16 priorities of how the waste is disposed,  
17 landfilling being the latter of several things  
18 that occur before that. The question has been  
19 raised by a few people, and it's going to be  
20 discussed I'm sure later on, that some of the  
21 diversion of waste to the landfill now is not  
22 consistent with the hierarchy. Are you  
23 comfortable on behalf of the state that the state  
24 is following its own rules with regard to the  
25 solid waste hierarchy?

1 MR. BARDEN: Yeah, I think Toni King is  
2 going to address that through her direct  
3 testimony, which I think she's coming up next, but  
4 yes, we're comfortable. Primarily the wastes that  
5 are going into Juniper Ridge Landfill are special  
6 wastes and they really have no other outlet for  
7 recycling. They've been recycled. The sludges  
8 would either have to be land applied and that's  
9 primarily a decision of each municipality or  
10 industrial facility in the case if it's coming  
11 from an industrial facility. Ashes are a big part  
12 of the waste stream that's come there, there's no  
13 feasible alternative for that. Contaminated spill  
14 material, there's no feasible alternative for  
15 that. They take very limited municipal solid  
16 waste that's unprocessed. In this expansion  
17 application they're going to be taking no  
18 unprocessed municipal solid waste other than that  
19 they use for the soft layer when they develop new  
20 cells as a result of an incinerator being down and  
21 they have to bypass that waste. It has to go  
22 somewhere, so yes, I'm comfortable.

23 CHAIRMAN PARKER: Okay. In followup  
24 again, another question I'm sure is going to come  
25 up and I'm just trying to get some of this out of

1 the way early, as far as the soft layer, the soft  
2 waste coming in, okay, in the application as I see  
3 it presented, they're looking for a 9 point I  
4 think 5 million cubic yard expansion which  
5 probably is a decent number, I'm not arguing with  
6 that, but how much of that volume that's being  
7 expanded is being occupied by the soft waste, some  
8 of which could be incinerated or further reduced  
9 before it goes there? Is that part -- in other  
10 words, the 9.5 million cubic yards we're looking  
11 for -- and this is something that was raised by  
12 the previous commissioner that there's no real  
13 feel for that number because there's a finite  
14 amount of space being approved. Is it being used  
15 wisely or is it being used conveniently? I think  
16 that's the question I had.

17 MR. BARDEN: Okay. It's a small  
18 percentage and I think either -- Jeremy Labbe can  
19 probably address, you know, sort of what that  
20 percentage is.

21 CHAIRMAN PARKER: Yeah, I'd really like to  
22 see what the percentage is so we can get a feel  
23 for that.

24 MR. BARDEN: Yup, yup.

25 CHAIRMAN PARKER: Okay. Any further

1 questions?

2 MS. BERTOCCI: Jim, we have one question

3 from a member of the public.

4 CHAIRMAN PARKER: I have a question from

5 the public. I'll read it and you can respond to

6 it because they're questioning I guess on the

7 dates. This is a clarification on the purchase

8 RFP. It says that you stated that the RFP was

9 issued after the state acquisition in 2004. It

10 was actually issued in July of 2003, six months

11 before the purchase contract. Is this correct or

12 not or is this --

13 MR. BARDEN: I'm not aware of that date.

14 CHAIRMAN PARKER: Okay, it should be

15 clarified. We've got it somewhere. I'm just

16 raising the question that someone raised.

17 MR. BARDEN: Yeah, I'm not sure exactly

18 the date of when the Resolve became effective.

19 The state wouldn't have been able to acquire it

20 until that Resolve was effective which is --

21 CHAIRMAN PARKER: I think the basic

22 question, was the RFP issued after the state owned

23 it or before the state owned it?

24 MR. BARDEN: It was -- it was issued

25 probably after the state owned it.

1 CHAIRMAN PARKER: Okay. We can clarify

2 that or you can actually clarify it and let us

3 know. Are there questions from the Board, any

4 further questions? Okay, be available this

5 afternoon, we'll hear more questions. Tom?

6 MR. DOYLE: Just one clarification, the

7 public benefit determination was for 9.35 million

8 cubic yards.

9 CHAIRMAN PARKER: Yeah, I didn't look at

10 the exact number. I had to turn my sheet over to

11 get to that.

12 MR. DOYLE: Okay. Our next witness is

13 Toni King who is the regional engineer for Casella

14 Waste System's Eastern Region. Toni's

15 responsibilities include oversight of consultants,

16 engineering design, permitting, compliance and

17 construction projects within the eastern region,

18 including the entire State of Maine. Toni earned

19 both a bachelor of science in environmental

20 engineering and an MBA from Norwich University.

21 She is also a licensed professional engineer in

22 Vermont and a certified manager of landfill

23 operations with Casella Waste Association of North

24 America. Toni's resume can be found at BGS/NEWSME

25 Exhibit #3. She will discuss consistency with the

1 Waste Management Hierarchy and compliance with the

2 recycling standard. Toni.

3 MS. KING: Thank you, Tom. Good morning.

4 CHAIRMAN PARKER: Good morning.

5 MS. KING: I'm here to tell you how we

6 meet the licensing standards set forth in the

7 hierarchy and the recycling rule and this is how

8 we do it. We're an integrated resource management

9 company with over 500 employees in the State of

10 Maine who work every day to provide cost effective

11 comprehensive solutions by actively promoting and

12 encouraging waste reduction measures and

13 maximizing waste diversion efforts prior to

14 landfilling.

15 This slide illustrates the new rule

16 requirements of the Maine solid Waste Management

17 Hierarchy. This is in Chapter 400, it's

18 relatively new and the one that says we'll do our

19 best to reduce waste generation and maximize waste

20 diversion and manage waste using an integrated

21 approach based upon the order of priority of

22 reduce, reuse, recycle, compost, incinerate and

23 finally landfill. This isn't the entire rule

24 because I can't fit it all on one slide so let me

25 just focus on the language I've highlighted in

1 blue. We need to provide evidence, including but

2 not limited to, a description of the reduction,

3 reuse, recycling, composting and/or processing

4 programs and efforts that the waste is or will be

5 subject to and that are sufficiently within the

6 control of the applicant to manage or facilitate

7 and for the purposes of this section, reducing,

8 reusing, recycling, composting and/or processing

9 waste to the maximum extent practicable prior to

10 disposal means handling the greatest amount of

11 waste possible through means as high on the solid

12 Waste Management Hierarchy as possible resulting

13 in maximizing waste diversion and minimizing the

14 amount of waste disposed without causing

15 unreasonable increases in facility operating costs

16 or unreasonable impacts on other aspects of the

17 facility's operation. Determination of the

18 maximum extent practicable includes consideration

19 of the availability and cost of technologies and

20 services, transportation and handling logistics

21 and overall costs that may be associated with

22 various waste handling methods.

23 This slide illustrates the rule

24 requirement of the recycling standard. It is also

25 in Chapter 400 but an older provision. Again,

1 let's focus on the highlighted portions of our  
2 requirements for compliance. We need to provide  
3 evidence that we're operating consistently with  
4 state recycling programs; that is, that the  
5 proposed solid waste disposal facility will only  
6 accept solid waste that is subject to recycling  
7 and source reduction programs, voluntary or  
8 otherwise, at least as effective as those imposed  
9 by provisions of state law and that we're in  
10 compliance with the recycling provisions of the  
11 state plan.

12 Within the Juniper Ridge Landfill  
13 Expansion Application itself and during the course  
14 of this hearing process you will hear about the  
15 various programs we have in place to manage waste  
16 using techniques higher on the hierarchy than  
17 disposal. We actively promote and encourage waste  
18 reduction measures and maximize waste diversion  
19 efforts of our customers by assisting them in  
20 taking advantage of opportunities to reduce, reuse  
21 or recycle their waste using environmentally sound  
22 material management methods including in some  
23 cases disposal at Juniper Ridge Landfill; simply  
24 put, the waste disposed at Juniper Ridge Landfill  
25 is reduced to the maximum extent practicable,

1 diverted where appropriate and 90 percent has  
2 already been processed or is a recycling residual  
3 for which a landfill is the most appropriate end  
4 of life solution.

5 You may have noticed in the hierarchy  
6 standard a phrase that included, quote,  
7 sufficiently within the control of the applicant  
8 to manage or facilitate, end quote. A very small  
9 quantity of waste is actually produced by  
10 Casella's operations so we must rely on the  
11 generators to reduce their waste to the maximum  
12 extent practicable before it arrives at Juniper  
13 Ridge.

14 You can see here the results of some of  
15 our landfill diversion efforts. Starting with  
16 recycling, Casella's zero source system allows  
17 generators to commingle all recyclable materials  
18 requiring no source separation. All sorting and  
19 baling is performed at the materials recovery  
20 facilities primarily by automated equipment. We  
21 found the benefits of zero sort to include  
22 increased ease and convenience, reduction in  
23 disposal costs due to reduction in volume,  
24 increase in range of materials that can be  
25 recycled and faster, more efficient collection of

1 materials. In 2014 we invested in a new materials  
2 recovery facility in Lewiston. The residuals from  
3 this facility are directed to Maine incinerators  
4 rather than being disposed at Juniper Ridge. In  
5 2015 our Maine-based zero sort initiative grew to  
6 include 62 municipalities and 3,480 businesses  
7 resulting in over 28,000 tons of material recycled  
8 through this program. We also broker a good deal  
9 of fiber and collect or bale material for  
10 recycling facilities at our Maine transfer  
11 stations. We are by far the largest recycler in  
12 the State of Maine. We direct some municipal  
13 solid waste within our control to Maine  
14 incinerators and some municipal solid waste within  
15 our control to other Maine landfills.

16 We regularly take steps to comply with the  
17 Waste Management Hierarchy; that is, reduce,  
18 reuse, recycle, compost, incinerate and finally  
19 landfill. In 2014, Casella facilities and  
20 programs recycled, beneficially reused or  
21 composted over 400,000 tons of waste materials  
22 over a broad spectrum of waste types and at  
23 numerous locations in Maine. We managed to do  
24 even better in 2015. An apples to apples  
25 comparison with the calendar year 2014 Maine DEP

1 waste generation disposal and capacity report  
2 which does not include construction and demolition  
3 debris or biosolids recycling reveals that Casella  
4 municipal solid waste recycling initiatives  
5 facilitated over 20 percent of all the municipal  
6 solid waste recycling volume realized in the state  
7 in 2014. By any measure, we've done our part to  
8 support the hierarchy.

9 Now for the individual waste streams that  
10 are disposed at Juniper Ridge Landfill.  
11 Construction and demolition debris received at  
12 Juniper Ridge comes from a number of sources in  
13 Maine, including some that are owned and operated  
14 by Casella companies. At these transfer stations,  
15 materials such as clean wood and metal are sorted  
16 and removed for recycling rather than disposal.  
17 In addition, we divert some construction and  
18 demolition debris within our control to processing  
19 facilities for recycling as evidenced by our  
20 agreement with ReEnergy Lewiston.

21 As noted previously, we also direct some  
22 municipal solid waste within our control to the  
23 Penobscot Energy Recovery Company incinerator  
24 which reduces weight by approximately 62 percent  
25 and volume up to 90 percent of waste requiring

1 landfill disposal. Juniper Ridge receives the  
 2 residuals from this process in the form of  
 3 front-end processing residue and ash. Front-end  
 4 processing residue from incinerators is  
 5 beneficially reused as soft layer installed at the  
 6 base of newly-constructed landfill cells to  
 7 protect the landfill liner. These waste reuse  
 8 opportunities avoid the utilization of virgin  
 9 materials in construction and operation and,  
 10 therefore, meet the hierarchy requirements.  
 11 There are numerous waste streams that  
 12 currently divide the ability to reduce, reuse,  
 13 recycle, compost or that do not allow for  
 14 incineration. This includes municipal solid waste  
 15 incinerator ash and multi-fuel boiler ash,  
 16 although some clean wood ashes can be and are land  
 17 applied. All the various ashes received at  
 18 Juniper Ridge play an important part in overall  
 19 landfill operations by providing another source of  
 20 material that can be used as daily cover and for  
 21 odor control. Construction and demolition debris  
 22 processing fines are received at Juniper Ridge  
 23 primarily from the ReEnergy Lewiston facility.  
 24 This material is a residue from processing  
 25 construction and demolition debris and those

1 facility types are obligated to recycle to the  
 2 maximum extent practicable but in no cases less  
 3 than 50 percent. The fines produced in addition  
 4 to short paper fiber and ashes are beneficially  
 5 reused at Juniper Ridge as grading, shaping and  
 6 cover material consistent with the hierarchy.  
 7 Similarly, oversize bulky waste is typically a  
 8 residual from a processing facility so has been  
 9 subject to recycling and defies further processing  
 10 or treatment requiring landfill disposal.  
 11 Municipal and industrial wastewater  
 12 treatment plant sludges and residuals are land  
 13 applied or composted to the maximum extent  
 14 practicable rather than landfilled. It should be  
 15 noted that the majority of these materials have  
 16 already been processed by the generators. Casella  
 17 Organics provides for direct land application of  
 18 nutrient-containing residuals and our Hawk Ridge  
 19 compost facility in Unity annually maximizes its  
 20 input of biosolids. Remaining materials either do  
 21 not meet regulatory requirements or are of  
 22 sufficient volume that landfilling is the  
 23 preferred option.  
 24 Contaminated soils, oil spill debris and  
 25 miscellaneous special waste are not typically

1 steady waste streams and don't usually allow for  
 2 incineration. The majority of these waste types  
 3 do not allow for additional management techniques  
 4 beyond landfilling. Maine incinerators are  
 5 required as a condition of their disposal facility  
 6 licenses to provide for bypass in the event that  
 7 the waste delivered to the incinerator is in  
 8 excess of its ability to accept, process and  
 9 combust that waste. The decision to bypass and  
 10 the disposal location is made by the generator.  
 11 The majority of the waste received at  
 12 Juniper Ridge has already been subject to  
 13 recycling and source reduction programs. There  
 14 are a variety of options employed for managing  
 15 Maine's solid waste. This table provides an  
 16 overview of the state plan management options and  
 17 a qualitative assessment of the comparative use of  
 18 the management options aside the major waste  
 19 streams that are taken at Juniper Ridge. Review  
 20 of the state plan rankings are the current  
 21 management methods for the waste streams accepted  
 22 at Juniper Ridge illustrates that nearly 90  
 23 percent of the materials by weight have a high or  
 24 medium ranking for landfill disposal, meaning  
 25 disposal is either the primary or a significant

1 material management method. Only 10 percent of  
 2 materials currently and proposed to be accepted at  
 3 Juniper Ridge have a high ranking for recycling,  
 4 being wastewater treatment plant sludges for which  
 5 recycling and beneficial use alternatives are  
 6 continually being utilized and explored by Casella  
 7 Organics as previously described. Again, by any  
 8 measure, the volume of the waste has been reduced  
 9 to the maximum practical extent by recycling and  
 10 source reduction prior to being landfilled and  
 11 compliance with the recycling provisions have been  
 12 met.  
 13 We have supplied ample evidence of the  
 14 descriptions of the reduction, reuse, recycling,  
 15 composting and/or processing programs and efforts  
 16 that the waste that finds its way to Juniper Ridge  
 17 is subject to and that are sufficiently within our  
 18 control. We have and continue to handle the  
 19 greatest amount of waste possible through means as  
 20 high on the Solid Waste Management Hierarchy as  
 21 possible resulting in maximizing waste diversion  
 22 and minimizing the amount of waste disposed at  
 23 Juniper Ridge. Thank you.  
 24 CHAIRMAN PARKER: I guess we'll hold  
 25 questions until you finish your testimony. Thank

1 you. We'll have questions later for you.  
 2 MR. DOYLE: Our next witness is John  
 3 Sevee. John is both a licensed professional  
 4 engineer and a certified geologist in the State of  
 5 Maine. He has over 45 years of experience in  
 6 areas of geotechnical engineering, hydrogeology  
 7 and groundwater engineering. John cofounded Sevee  
 8 & Maher Engineers, the engineering firm that  
 9 discovered the site -- this site as suitable for a  
 10 landfill and designed the Juniper Ridge Landfill  
 11 back in the early 1990s. His educational  
 12 background includes both a bachelor's and a  
 13 master's degree in civil engineering with an  
 14 emphasis in geotechnical engineering from the  
 15 University of Vermont and a bachelor's degree in  
 16 physics from the University of Southern Maine.  
 17 Over the years, John has been a licensed  
 18 professional engineer in 12 states. His resume is  
 19 BGS/NEWSME Exhibit #5. John will be discussing  
 20 hydrogeologic issues related to the Juniper Ridge  
 21 Landfill expansion site.  
 22 MR. SEVEE: Good morning. Thank you, Tom.  
 23 I'm going to describe the geologic and  
 24 hydrogeologic investigations that have been  
 25 conducted at the JRL site over the last 25 years.

1 Importantly, these investigations show that the  
 2 landfill site meets the DEP siting criteria as  
 3 given in the Maine solid waste management rules  
 4 and it also shows that the site can be monitored  
 5 in an effective way to protect the surrounding  
 6 groundwaters and surface waters.  
 7 I'll begin my presentation by describing  
 8 the investigations that have been conducted  
 9 focusing primarily on the expansion area, I'll  
 10 summarize the geology of the site and the  
 11 expansion area and then discuss briefly the  
 12 groundwater behavior beneath the site and I'll  
 13 wrap up by discussing the groundwater monitoring  
 14 program that is being proposed for the Landfill.  
 15 So we'll start but I think, first of all,  
 16 it may be useful just to simply state why we do  
 17 these subsurface investigations and there's three  
 18 principal objectives here. One is to determine  
 19 whether the site meets the DEP siting criteria;  
 20 another objective is to collect information on the  
 21 foundation materials in the soils and the rock so  
 22 that that information can be fed into engineering  
 23 design calculations and issues relative to the  
 24 design; and then finally, it's important to  
 25 understand the directions and rates of groundwater

1 movement and its behavior in both the soils and  
 2 the bedrock so that the site can be properly  
 3 monitored.  
 4 So with these particular criteria in mind,  
 5 I'm just going to quickly show this figure here  
 6 which I think is Exhibit 6 from my direct  
 7 testimony. This is a figure of the site. The  
 8 existing landfill is right here, the expansion is  
 9 located on the north side and the east side of  
 10 that existing landfill and I think you've all been  
 11 out there so you realize that this site is built  
 12 on a ridge that has sort of a ridge line or crest  
 13 line that runs north and south across the  
 14 property, so the land surface drops off to the  
 15 east and the land surface drops off to the west.  
 16 This figure also shows the explorations that have  
 17 been done over the last 25 years and it shows --  
 18 as well as it shows the investigations done within  
 19 the expansion area. There are approximately 200  
 20 explorations of different types shown on this  
 21 diagram. About one-quarter of those are located  
 22 within and adjacent to the expansion footprint.  
 23 The explorations that are shown on this diagram  
 24 include such things as test pits which are  
 25 excavations dug to examine the shallow soils and

1 get information on the depth of bedrock. There  
 2 are at least 90 test pits out here. There are at  
 3 least 80 soil borings, the soil borings allowing  
 4 us to get down deeper through the soils and into  
 5 the bedrock to examine the geology and  
 6 characterize the geology. The borings also  
 7 provide the ability to install groundwater  
 8 monitoring wells so that we can get information on  
 9 groundwater levels. There are 120 -- at least 120  
 10 groundwater monitoring wells shown in this  
 11 diagram. That information is used to evaluate the  
 12 directions and rates of groundwater movement  
 13 across the site and around the perimeters of the  
 14 proposed expansion. There are a minimum of seven  
 15 deep bedrock bore holes on the site where we went  
 16 down 200 feet into the bedrock and this was  
 17 basically to examine the deeper groundwater  
 18 characteristics in the bedrock. We've conducted  
 19 pump tests of the groundwater in the bedrock,  
 20 basically pumping water out of a well to see how  
 21 that -- how that pumping affects the nearby  
 22 groundwater levels and that provides information  
 23 on the interconnectivity of the fractures within  
 24 the bedrock. With -- with all of that  
 25 information, we've also supplemented it with some



1 geophysical investigations, geophysical  
 2 investigations such as electrical earth  
 3 resistivity, seismic refraction, down hole  
 4 geophysical logging and the nice thing about the  
 5 geophysical surveys is they're illustrated here,  
 6 for instance, in this earth resistivity line here.  
 7 It basically provides some continuity of  
 8 information between these discrete sample  
 9 locations represented by the bore holes and the  
 10 test pits.

11 During the field investigations, samples  
 12 of the rock and the soils are collected, they're  
 13 brought back into a geotechnical laboratory where  
 14 they are tested for information such as shear  
 15 strength, compressibility, permeability and so  
 16 forth.

17 One of the points that's useful to make  
 18 here is that we've utilized a corroborative  
 19 approach or a redundant approach in looking at  
 20 some critical parameters and by example, I'll give  
 21 the example of groundwater flow velocities. In  
 22 order to calculate groundwater flow velocities, we  
 23 measured the permeability of the soil and measured  
 24 the hydraulic gradients out in the formations.  
 25 The permeability of the soil is basically its

1 ability to transmit groundwater. So low  
 2 permeability means that there's a limited ability  
 3 to transmit groundwater, higher permeability means  
 4 it has a greater ability to transmit groundwater.  
 5 By combining these parameters, we're able to  
 6 calculate a groundwater velocity. Next we  
 7 actually went out and did a tracer test to measure  
 8 the groundwater velocity. We put a little bit of  
 9 salt in the groundwater and measured the rate at  
 10 which the salt moved through the groundwater  
 11 system and that provided a direct measurement of  
 12 the groundwater velocity, and then we corroborated  
 13 that information by measuring the groundwater age  
 14 and that basically provides an additional  
 15 constraint on what the groundwater velocities are.  
 16 By using this sort of redundant or corroborative  
 17 approach, you develop a greater degree of  
 18 confidence in estimating certain parameters and  
 19 the important ones you really want to be fairly  
 20 close on, and so this is a very useful approach  
 21 and it provides, like I say, a greater degree of  
 22 confidence in your conclusions and your  
 23 calculations.

24 All of this information has been reported  
 25 over the years. The latest information on the

1 expansion is provided in the application but the  
 2 application also includes all the historical  
 3 information as sort of reference data.  
 4 Let me now briefly describe the geology.  
 5 The soils below the ground surface out at this  
 6 site consist of a dense clay glacial till. The  
 7 till was laid down by ice during the last glacial  
 8 period and at least a mile of ice compacted this  
 9 till and gave it its density. The density is  
 10 important because it provides the stability of  
 11 this material. The clay nature of the till gives  
 12 it its relatively low permeability. That low  
 13 permeability is a desirable characteristic because  
 14 by having something that has a lower permeability,  
 15 if there were to be a leak or a spill of leachate  
 16 at the site, you want a soil that retards the  
 17 movement of that so you can get in there and clean  
 18 it up and deal with it as opposed to a higher  
 19 permeability which lets it move off relatively  
 20 quickly where you may not be able to control it.  
 21 So those are two important characteristics of the  
 22 site. In fact, the permeability characteristic is  
 23 a siting criteria. The permeability has to be  
 24 less than ten to the minus five centimeters per  
 25 second. In scientific jargon that's 0.00001

1 centimeters per second, and the permeability again  
 2 is a measure of the rate at which the groundwater  
 3 can move through the soil, and we meet that siting  
 4 criteria for this site. So the permeability meets  
 5 the DEP siting criteria.  
 6 The till overlies an ancient silicic  
 7 bedrock, silicic bedrock being sort of a  
 8 shaley-type bedrock. It tends to be a little  
 9 weathered near its surface underneath -- beneath  
 10 the till, but that weathering goes away and  
 11 disappears with depth and it becomes unweathered  
 12 with depth. Even though the -- even though the  
 13 bedrock is hard and competent and intact, by that  
 14 I mean not broken up, it does contain fractures,  
 15 and the investigations that have been conducted  
 16 out at the site show that there are -- that most  
 17 of these fractures are nearly vertical. They're  
 18 oriented more or less in a vertical plane, not  
 19 precisely but more or less, and the investigations  
 20 show that these fractures tend to break down into  
 21 two principal groups. One grouping is oriented  
 22 more or less to the northeast and southwest, and  
 23 the other grouping is oriented almost at a right  
 24 angle to that first grouping; therefore, you have  
 25 a group of fractures that intersect more or less

1 at right angles and this intersection or this  
 2 interconnection is what allows the groundwater to  
 3 move through the bedrock. There are other  
 4 fractures that are present in the bedrock that are  
 5 at various other angles which add additionally to  
 6 this interconnectivity but those are fewer in  
 7 nature. The groundwater within the till does not  
 8 move through fractures. It moves through the  
 9 porous spaces between the soil grains of the till.  
 10 A significant portion of the  
 11 investigation, as I mentioned earlier, is focused  
 12 on understanding groundwater movement and that's  
 13 one of the ultimate objectives here. We want to  
 14 understand the directions and the rates of  
 15 groundwater movement so that this feeds into the  
 16 design of an appropriate monitoring system for the  
 17 groundwater. The directions of groundwater  
 18 movement within the glacial till is generally from  
 19 higher elevations to lower elevations. So  
 20 groundwater moves from the ridge area down to  
 21 lower-lying areas in the topography. In this  
 22 particular case because we're on a ridge, part of  
 23 the groundwater moves to the East and part of the  
 24 groundwater moves to the West through the glacial  
 25 till. Within the bedrock that underlies the tile,

1 the groundwater on a regional basis follows that  
 2 same general pattern. In other words, it goes  
 3 from the higher elevations down to lower  
 4 elevations, but locally within the bedrock this  
 5 fracture system that I mentioned a minute ago  
 6 actually can have a -- insert a control on that  
 7 behavior in such a way that it may not be exactly  
 8 downhill, it may be at a skew relative to the  
 9 downhill direction. Much of the investigations  
 10 that have been going on on this site since 2005  
 11 for this expansion have been focused on better  
 12 understanding of how the groundwater behaves and  
 13 what this interaction is between the topography  
 14 and the fracture system.  
 15 The groundwater velocities have been  
 16 estimated both in the till and the bedrock.  
 17 Groundwater in the -- in the till is generally in  
 18 the order of about one to ten feet per year. So  
 19 groundwater in the till moves from me to the  
 20 stenographer more or less in a period of about a  
 21 year, and that's due to its relatively low -- its  
 22 clay content -- its clay content and its  
 23 relatively low permeability. The groundwater in  
 24 the bedrock on the other hand moves this similar  
 25 distance one to ten feet per day, so it's moving

1 at a much higher rate, and the reason for that is  
 2 that it has to do with the relative permeabilities  
 3 of the till and the bedrock but also it has to do  
 4 with the porosity of the bedrock relative to the  
 5 till, porosity being basically the pore spaces  
 6 that the groundwater can move through and in the  
 7 bedrock, the pore spaces are very limited because  
 8 it's basically through these fractures and not  
 9 through all the pores in the soil.  
 10 In assisting us in interpreting the  
 11 behavior of the groundwater, we use  
 12 three-dimensional simulations, computer  
 13 simulations of the groundwater flow. These are  
 14 extremely useful because you can incorporate the  
 15 topography, you can incorporate the fracture  
 16 patterns and interconnectivity of the bedrock, the  
 17 thickness of the till and all these geologic  
 18 features and let the model generate what it  
 19 believes to be the groundwater flow patterns. One  
 20 of the -- the output of these simulations  
 21 basically confirm our general understanding that  
 22 groundwater moves downhill in both the bedrock and  
 23 the soils but one of the important features is  
 24 that it shows that groundwater migration away from  
 25 the site is limited, and it's limited by the

1 topography, and what happens is the groundwater  
 2 moves away from the higher elevations to the lower  
 3 elevations that surround the site and at these  
 4 lower elevations, the groundwater wants to move up  
 5 toward the ground surface. On the far sides of  
 6 these low areas are higher topographic elevations.  
 7 The groundwater table follows the topography in  
 8 those areas and basically creates sort of a  
 9 hydraulic barrier to further groundwater movement  
 10 away from those low-lying areas. So the model  
 11 sort of demonstrated that groundwater migration  
 12 away from the Landfill would be limited and that  
 13 was one of the important reasons that we selected  
 14 the site back in 1990 was because we looked at the  
 15 topography and judged that groundwater should  
 16 remain relatively local to the landfill and that's  
 17 good in terms of protecting regional groundwater  
 18 users.  
 19 As I mentioned a few minutes ago, much of  
 20 the recent work that we've been doing working with  
 21 the DEP staff on better understanding how the  
 22 groundwater behaves in the bedrock, and this has  
 23 really been focused on how do we properly monitor  
 24 the bedrock. The till is much more  
 25 straightforward in terms of monitoring, but the

1 bedrock is a little bit more complicated because  
 2 of the fracturing system.  
 3 One of the additional pieces of  
 4 information that has come out of these  
 5 investigations is that the groundwater within the  
 6 bedrock can be controlled. We know that because  
 7 we've run pump tests where we've drilled wells  
 8 into the bedrock and we've pumped the groundwater  
 9 out of those wells and we look to see what happens  
 10 to the groundwater levels surrounding where we're  
 11 pumping the water out of the aquifer, and  
 12 typically what you would expect is that the  
 13 groundwater would move toward this pumping well,  
 14 and we have shown through these pumping tests that  
 15 we can affect groundwater levels out as far as  
 16 2000 feet away from where the well is being  
 17 pumped. This is -- this is relevant because if in  
 18 the unlikely event there were to be a leak, you  
 19 could actually drill a well in the bedrock and  
 20 contain that leak by pumping the groundwater. In  
 21 fact, you could -- if you needed to, you could  
 22 actually put a string of wells around the  
 23 perimeter of the landfill even after it's been  
 24 fully developed and collect and contain all the  
 25 groundwater such that if there were something

1 leaking from the landfill it would never go beyond  
 2 that collection system. One of the nice things  
 3 about this collection system is that it would be  
 4 easy to implement, you can do it very quickly,  
 5 it's low tech, it's straightforward and like I  
 6 said, you can do it right away so if there is a  
 7 problem, you can capture it immediately.  
 8 One of the performance criteria for siting  
 9 a landfill is looking at travel times to sensitive  
 10 receptors. You want to -- in your monitoring  
 11 system, you want to have sufficient time that if  
 12 you detect a leakage or a spill that you can have  
 13 enough time to determine what's causing that  
 14 problem and address it through some remediation  
 15 scheme. The DEP has judged that six years' travel  
 16 time would be sufficient in order to do that, and  
 17 so you go through a calculation or an analysis to  
 18 determine what is the -- what is the rate of  
 19 travel from the landfill footprint to sensitive  
 20 receptors. Sensitive receptors are defined in the  
 21 rules and they are features such as groundwater  
 22 wells on adjacent properties, certain class  
 23 surface water bodies, sand and gravel aquifer  
 24 formations and similar types of things, and so the  
 25 analysis basically identifies these sensitive

1 receptors and then goes through a calculation to  
 2 determine the rate of travel to these sensitive  
 3 receptors from the landfill footprint. We  
 4 identified seven nearby sensitive receptors. A  
 5 couple of these are groundwater -- potential  
 6 groundwater wells, none exist directly in the  
 7 adjacent properties but we assume that someone --  
 8 a well could exist in the future. Some of them  
 9 are surface water bodies and then there's also  
 10 this sandy zone -- excuse me -- there's a sandy  
 11 zone that we identified off to the southeast --  
 12 outside the southeast footprint of the landfill.  
 13 This is a sandy inclusion within the glacial till,  
 14 and even though it's not part of a regional sand  
 15 and gravel aquifer, it's relatively isolated,  
 16 surrounded by low permeability soils, we felt it  
 17 was of sufficient size that a well could be  
 18 installed in that particular deposit and so we  
 19 kept it in as a sensitive receptor and we wanted  
 20 to know the travel time to that feature.  
 21 This is just simply a figure showing where  
 22 those sensitive receptors are. Here's the  
 23 property line right there and so we assumed a  
 24 water supply well at the closest point. There's a  
 25 property line on the west side, we assumed wells

1 at those two nearby corners. These are surface  
 2 water locations and then this is that sandy  
 3 inclusion zone within the glacial till.  
 4 So we went through the calculation and  
 5 Mike Booth, who is presenting next, will discuss  
 6 this analysis in a little bit more detail but  
 7 basically when we went through the calculation the  
 8 travel times were 6.2 to 68.2 years from the  
 9 landfill footprint to the sensitive receptors.  
 10 They -- those travel times include some offsets  
 11 associated with the design of the landfill and  
 12 Mike will talk a little bit more about that but  
 13 basically we meet the six-year criteria given by  
 14 the DEP rules. So what that means -- let me just  
 15 finish up by saying what that means is the  
 16 analysis says that we have sufficient time that if  
 17 we were to detect a leak at the liner base or at  
 18 the monitoring wells, that we would have time to  
 19 identify the leak, we would have time to figure  
 20 out where it's coming from and find out the  
 21 appropriate remedial action and implement that  
 22 remedial action before it gets to one of these  
 23 sensitive receptors.  
 24 The monitoring of the landfill will be  
 25 done through two systems. The primary monitoring

1 of the landfill itself is the liner leak detection  
 2 system. The liner leak detection system -- and  
 3 Mike will talk more about this -- is a sand layer  
 4 that's sandwiched between the primary and the  
 5 secondary liners of the landfill. It is a system  
 6 -- it's a sand layer that's monitored on a routine  
 7 basis to look to see if there's any leakage that's  
 8 coming through the primary liner system so you can  
 9 react quickly before any of that leakage would  
 10 make it through the secondary liner system.

11 The monitoring wells are sort of a  
 12 redundant feature in part on the perimeter of the  
 13 landfill but the monitoring wells also would  
 14 monitor leachate containment systems such as pipes  
 15 that run along the perimeter of the landfill  
 16 system.

17 The -- we've judged that because of the  
 18 nature and the level of understanding of both the  
 19 soil and the bedrock that we can effectively  
 20 install monitoring wells and we believe that we  
 21 know where to effectively install these monitoring  
 22 wells so that they act as an early warning system  
 23 so that if there is some sort of a change in  
 24 groundwater quality we can address it immediately  
 25 before it gets out into the regional groundwaters

1 or surface waters.

2 So quickly in summary, there's a  
 3 significant amount of information that's been  
 4 collected on this site over the last two and a  
 5 half decades. The -- the level of understanding  
 6 allows us to understand how the groundwater is  
 7 behaving so we can appropriately monitor the  
 8 groundwater so we can protect the surrounding  
 9 groundwater users or offsite groundwater and  
 10 surface waters and the investigation has shown  
 11 that there's a number of desirable characteristics  
 12 to the site, one being the relatively low  
 13 permeability of the till. It's a clay nature.  
 14 The till is also dense and stable. You want to  
 15 have a stable foundation under the landfill. The  
 16 -- the limited ability of groundwater to migrate  
 17 regionally is an important feature to the site.  
 18 So we believe the site can be effectively  
 19 monitored and is a good landfill site. Thank you  
 20 very much.

21 CHAIRMAN PARKER: Thank you, John.

22 MR. EASTLER: Can I make one comment about  
 23 that?

24 CHAIRMAN PARKER: Go ahead.

25 MR. EASTLER: First of all, I don't

1 normally do this. Bravo, fabulous presentation.  
 2 The geology is quite clear and quite  
 3 understandable. There was one place where it  
 4 might have been a little confusing when you talked  
 5 about the one-mile thick -- pardon me -- the  
 6 one-mile ice as opposed to saying the one-mile  
 7 thick ice because the compression came from the  
 8 tremendous height between one and two miles of ice  
 9 that was there some 13,000 years ago or whatever.  
 10 Very nicely done and, of course, what you've done  
 11 with the fracturing is also -- just fits right  
 12 into the Appalachian geology for the fractured  
 13 bedrock southwest and northeast and the glacial  
 14 characteristics with that very heavy ice pushing  
 15 over the land from northwest to southeast itself,  
 16 so southwest to northeast, northwest to southeast,  
 17 90-degree intersection, beautiful job, very well  
 18 explained on every bit of it. Thank you very  
 19 much.

20 MR. SEVEE: Thanks for correcting me too.

21 CHAIRMAN PARKER: Thank you, John.

22 MR. DOYLE: Before our next witness, I  
 23 just want to give the Board an update on where we  
 24 are. We've got six witnesses, you've heard from  
 25 three so far. We've been at this a little less

1 than an hour and I said we would take three hours  
 2 so we're well within our time.

3 CHAIRMAN PARKER: We appreciate that.

4 MR. DOYLE: And we're going to -- our next  
 5 witness actually has the longest testimony so just  
 6 relax and listen, but we are well ahead of  
 7 schedule here. So I think that's good.

8 Mike Booth is a licensed professional  
 9 engineer in the State of Maine and a senior  
 10 project manager at Sevee & Maher. Mike has over  
 11 35 years in environmental engineering experience.  
 12 His principal practice area is solid waste  
 13 management with a focus on landfill design and  
 14 operations. He has worked on Juniper Ridge for  
 15 over 20 years and has directed the design and  
 16 preparation of several of its permit applications.  
 17 Throughout his career, Mike has also been involved  
 18 in multiple engineering roles with many of the  
 19 state's landfills and is, therefore, very familiar  
 20 with landfill licensing standards and the  
 21 standards of practice for landfill design. He  
 22 earned a bachelor of science degree in civil  
 23 engineering from the University of Maine. His  
 24 resume is BGS/NEWSME Exhibit #9. Mike will  
 25 discuss landfill siting and design for the

1 expansion. Mike.  
 2 MR. BOOTH: Thank you, Tom. My  
 3 presentation this morning will focus on the  
 4 expansion design and the design process. I'll  
 5 describe how we designed the expansion to comply  
 6 both with the prohibitive and restrictive criteria  
 7 that are contained in the solid waste management  
 8 rules and the performance design standards of the  
 9 rules to protect the environment and the site  
 10 sensitive receptors. I'll also address the  
 11 alternatives to developing the expansion which is  
 12 part of the Natural Resource Protection Act permit  
 13 application for the two -- approximately two acres  
 14 of wetland impacts that are associated with this  
 15 expansion project.

16 In my testimony, I'll touch on the points  
 17 made in both my direct testimony and my rebuttal  
 18 testimony trying to respond to a number of  
 19 questions that are related to the design that were  
 20 raised by Mr. Spencer and Mr. Coghlan in their  
 21 direct testimony. I'll start with an overview of  
 22 the project, describe the site selection and the  
 23 alternatives analysis that was done, describe the  
 24 basis of the design, the expansion layout and  
 25 configuration, we'll get into a detailed

1 description of the various components of the  
 2 landfill and finally the construction activities.  
 3 This is an overview of the site and the  
 4 actual footprint as shown by John is about 54  
 5 acres situated right to the north of the existing  
 6 landfill facility, in addition to actual landfill  
 7 footprint -- the line of the landfill footprint  
 8 the total developed area is about 75 -- 74 acres.  
 9 That includes access roads, perimeter berms,  
 10 stormwater ponds, the relocated scale house and  
 11 administration building. The expansion is  
 12 designed for the same types of waste materials  
 13 that are currently taken to the Juniper Ridge  
 14 Landfill site and will be developed over the  
 15 10-to-12-year period in a series of six cells,  
 16 each constructed a year -- approximately a year  
 17 before it's needed, a year to six months before  
 18 it's needed.  
 19 The alternative analysis which is part of  
 20 the Natural Resource Protection Act permit  
 21 application we looked at four alternatives. One  
 22 was a no-build alternative where could this waste  
 23 be taken to another facility. That particular  
 24 standard and evaluation was actually -- typically  
 25 -- it was consistent with what was done with the

1 public benefit determination for this project  
 2 where it was a previous permitting part of this  
 3 project which a license was issued back in 2012  
 4 which found that the Juniper Ridge Landfill  
 5 Expansion was needed to provide long-term disposal  
 6 capacity for the State of Maine. If that Juniper  
 7 Ridge Landfill Expansion was not constructed, then  
 8 the waste that currently goes to that facility  
 9 would have to go to another facility and that  
 10 would shorten the life of those facilities.

11 The alternate site development is  
 12 another -- is another alternative we looked at and  
 13 originally we looked at alternative sites -- the  
 14 Juniper Ridge Landfill site was based on a very  
 15 extensive siting study that was done back in the  
 16 early nineties which actually identified 58 sites  
 17 around the Old Town area which had the suitable  
 18 soils for a landfill site based on the  
 19 requirements of the rules. From the 58 sites, the  
 20 further screening of those sites narrowed those  
 21 sites down to 18 sites. The sites that were  
 22 eliminated were eliminated because of either  
 23 wetland and surface waters surrounding use. From  
 24 those 18 sites, 10 sites were identified for  
 25 onsite investigation which the test pits were dug

1 and investigations of the actual soil conditions  
 2 on the site and based on those test pits, the  
 3 Juniper Ridge Landfill site was identified as the  
 4 best site for a landfill development in that area.  
 5 Important in the alternative -- looking at  
 6 alternative site developments is to remember that  
 7 if this facility was constructed on a different  
 8 piece of land, the amount of land that would be  
 9 needed to meet the 9.35 million cubic yards of  
 10 capacity, which is what this application is for,  
 11 would require additional capacity because as part  
 12 of this expansion we're using some of the existing  
 13 site infrastructure which would have to be built  
 14 on another site so it makes the site smaller.  
 15 The waste reduction and alternative waste  
 16 management methods, I think Toni did an excellent  
 17 job of going through those alternatives and why  
 18 the expansion as designed minimizes the amount of  
 19 waste that goes through the landfill.  
 20 Modify the proposed boundaries of the  
 21 landfill and boundary design, this is something  
 22 that Sevee & Maher and Stantec -- Bryan Emerson  
 23 will talk to this after my presentation -- looked  
 24 at how do we minimize the amount of wetland  
 25 impacts associates with this site. One of the

1 first things we looked at was the actual physical  
 2 layout of the facility, looking at two other  
 3 layouts of the facility on the Juniper Ridge site  
 4 that would provide the 9.35 million cubic yards of  
 5 disposal capacity. These particular sites  
 6 actually have some other advantages if we're not  
 7 considering wetlands and particularly this one, we  
 8 wouldn't have to relocate some of these scales and  
 9 some of the stormwater ponds; however, these both  
 10 result in greater wetland impacts than the current  
 11 design. The first -- the top one is about four  
 12 and a half acres and the bottom one is about three  
 13 and a half -- 3.4 acres, so these two alternatives  
 14 compared to the two -- about two acres of wetland  
 15 impacts that are associated with the layout that  
 16 we're proposing as part of this application.

17 The basis for design, this is probably one  
 18 of the most important of my slides. There's  
 19 really three -- when we design a landfill, there's  
 20 really three bases that we use to design a  
 21 landfill. The first is to design it to conform  
 22 with both the qualitative and quantitative  
 23 standards of the rules, and I'll go into that in a  
 24 little more detail further in my presentation.  
 25 The second is that we design a landfill based on

1 the actual site conditions. John went into the  
 2 amount of work that goes into actually defining  
 3 those conditions. We take that information as he  
 4 indicated and we identify and come up with a  
 5 specific design feature of the landfill that are  
 6 reflective of the actual site conditions. Now,  
 7 this will vary depending on the types of soils on  
 8 the site from site -- from landfill site to  
 9 landfill site.

10 And finally, we design landfills and the  
 11 expansion based on the experience of the  
 12 professionals who are responsible for the design  
 13 and the operations. This -- it's very important  
 14 in the design that we incorporate what's been  
 15 learned in the past in landfill design and  
 16 incorporate it in the new designs, and so the  
 17 design approach that we've used for this facility  
 18 is based on the experience of both Sevee & Maher  
 19 who's done landfill design, who has about 800  
 20 years of combined landfill design experience in  
 21 our office, as well as the other consultants who  
 22 have worked on the job who also have a great  
 23 amount of experience doing their type of  
 24 evaluation. The design and the approaches we've  
 25 used in this design are similar to what have been

1 used on a number of other landfill projects in the  
 2 State of Maine that have been permitted by the  
 3 Board -- by the Department of Environmental  
 4 Protection.

5 What we -- when we look at aspects of the  
 6 landfill design, the first criteria that we look  
 7 at is what we call restricted or setback  
 8 requirements. The rules have a number of setback  
 9 requirements that require for the footprint of the  
 10 landfill to meet certain setbacks and this slide  
 11 shows those different setback requirements and how  
 12 we actually comply with them. Now, in the case of  
 13 this expansion, we actually exceed the standards.  
 14 An example is the closest house is 2,100 feet from  
 15 the landfill boundary. The rules identify a  
 16 thousand foot setback. We're 420 feet from the  
 17 property line. The rules require a 400 -- I'm  
 18 sorry -- a 300-foot setback from the property  
 19 lines. So we kind of -- in the design world, we  
 20 kind of say this gives us -- kind of the envelope  
 21 is that we take and find the different locations  
 22 and then we provide areas so we meet the setbacks,  
 23 and in the case of this particular facility, we  
 24 exceed all the setbacks.

25 The rules have what we call performance

1 standards which is requirements that a project  
 2 must meet. Now, the performance standards look at  
 3 actually kind of test driving the landfill design;  
 4 saying, all right, we know what the geology is, we  
 5 know what the design is, put those two things  
 6 together and calculate how long it would take --  
 7 the time of travel analysis which John talked  
 8 about, how long would it take -- if we did have a  
 9 problem with a leak, how long would it take for  
 10 that leak to get to a sensitive receptor. It also  
 11 has a standard looking at potential contaminant  
 12 releases and what -- if you did have a release,  
 13 what would be the impact to those sensitive  
 14 receptors. Now, those analyses are a due  
 15 diligence exercise. We take and make very  
 16 conservative assumptions on leakage rates and we  
 17 run through this analysis and we check them to  
 18 make sure we're not having an impact -- that the  
 19 design will not have an impact on the facility.  
 20 They are not predictions that we expect these  
 21 things to happen. They're -- the way we approach  
 22 a landfill design is we try to make very  
 23 conservative assumptions, run through the  
 24 analysis, if everything is fine and we meet the  
 25 criteria that we've established for that

1 particular part of the design, then we know we  
2 have a solid system, and, you know, again, the  
3 experience of doing this a number of times, we  
4 know that the techniques that we do have proven  
5 out with actual operating facilities.

6 The protection against groundwater impacts  
7 is obvious. That standard is very important. In  
8 the rules they talk to not siting a landfill on a  
9 sand and gravel aquifer. At one point in time  
10 that was not obviously something -- a lot of  
11 landfills are located on sand and gravel aquifers  
12 way back 20 or 30 years ago. Obviously that's not  
13 what we want to do now.

14 Not locating the landfill on a fault line,  
15 again, not a good idea, and those standards are  
16 standards that we have to check the site to make  
17 sure and this site meets those standards.

18 The ability to monitor a site is -- we  
19 have to have a site that's monitorable such as  
20 what John talked to and he went into detail on how  
21 he monitored. One of the issues that -- that is  
22 addressed in that standard is disturbing soils  
23 within the area of the bedrock. We generally like  
24 to not disturb soils that are closer than five  
25 feet to the bedrock surface. This -- this is a

1 standard and in the landfill and the design of  
2 this landfill we've done that so where we have to  
3 -- if we have any soils that are within five feet  
4 of the surface, all we're doing in establishing a  
5 base grade is to strip off the organic materials  
6 so we're on to minable soils. So we minimize that  
7 impact of that five feet of the soils that are  
8 over the bedrock surface.

9 This is a time of travel analysis and I  
10 include this slide because the design that we've  
11 picked, and I'll be talking about the liner system  
12 in a minute, but the design that we've picked for  
13 this facility, we used the time of travel analysis  
14 to identify what are the appropriate components of  
15 the liner design. It's one of our very important  
16 parts of how we come up with a specific design --  
17 liner system design for a facility and the layers  
18 that we put into it.

19 Now, the rules have really three parts to  
20 the -- this time of travel analysis. John  
21 identified the first one which is a flow through  
22 the onsite -- the native onsite soils and the  
23 bedrock. The second -- the second component that  
24 the rules identify for using this analysis is the  
25 time of travel through any imported soils. The

1 rules say, you know, you can import soils onto the  
2 site and you can account for that travel time  
3 through that soil. It makes a lot of sense  
4 because what we can do is we can import even  
5 tighter soils than what we have onsite and utilize  
6 that as a barrier to keep migration down to the  
7 site.

8 The third component is, what John talked  
9 to, is enhancing the liner design and the use of  
10 offset credits which the rules prescribe very  
11 specifically if you include certain components  
12 into your landfill liner containment system  
13 design, then you get offset credits. Because  
14 you're able to detect a leak quicker, you have a  
15 more robust liner system and the rules  
16 prescribe -- there's a table in the rules which  
17 identify those criteria. So we used all three of  
18 those components in our time of travel analysis.  
19 We actually selected design components based on  
20 utilizing those materials deliberately because if  
21 we can utilize designs that we're actually  
22 installing and we can QA and QC the installation,  
23 quality assurance, quality control, sorry for the  
24 acronyms, we know that the thing has been put into  
25 a certain standard as opposed to a geologic

1 system. You know, there is variability in any  
2 geologic system. So we have a better idea when we  
3 design the landfill and we install the particular  
4 liner system that we know has been designed to a  
5 certain standard, we can document that.

6 The contaminant transport analysis, what  
7 we do is we say, all right, one of the analysis is  
8 that the rules require us to do is we say, what if  
9 there's no liner here, what would happen if we had  
10 leachate just pouring -- we had no liner system  
11 and the leachate would just make its way out the  
12 bottom of the landfill, would it impact the  
13 sensitive receptors around the site; and so one of  
14 the analyses we do, we say, assume there's no  
15 liner system there, assume that the water has to  
16 travel down -- the leachate would travel down  
17 through the soils that have been put in and that  
18 are there and to the sensitive receptors and we  
19 have to predict what those concentrations would be  
20 at the six-year time period. Now, if we -- when  
21 we do this analysis, we also look at two other --  
22 we've looked at two other scenarios, we say what  
23 if we have a leak in the liner, what if we have a  
24 defect in the liner and that liner leaks at a  
25 certain rate, what would we have for impact there.

1 We also look at what if we have a break in a  
 2 leachate force main and that leachate is allowed  
 3 to go into the environment for a period of time  
 4 and then travel down through the soils into  
 5 bedrock to the sensitive receptors. Those  
 6 analysis, we compare what the water quality would  
 7 look like at those sensitive receptors to the  
 8 various standards for both drinking water and  
 9 surface water and the criteria for establishing do  
 10 we meet that contaminant transport analysis is  
 11 that if there is not levels that -- that all the  
 12 drinking water standards are met at that six-year  
 13 travel time. That is a case for this facility and  
 14 it's related to the tightness and the types of  
 15 soils that are on this site as well as the design  
 16 of the facility.

17 This is a first -- this is kind of the  
 18 first picture of what we're actually designing.  
 19 Now, the expansion we've -- we've taken the  
 20 capacity and we've divided it up into cells built  
 21 approximately every two years. There's a total of  
 22 six cells, 11, 12, 13, 14, 15 -- 14, 15 and 16 and  
 23 what we've found is that constructing a landfill  
 24 cell every two years works fairly well because  
 25 it's a fairly extensive process to design and

1 actually to construct. We actually go through and  
 2 come up with a specific design for each of these  
 3 landfill cells, they submit it to the DEP, they  
 4 review it, they approve it, we have to go out and  
 5 mobilize construction equipment and then also  
 6 personnel to oversee the construction, testing of  
 7 the materials. So what we found is kind of a  
 8 two-year cycle is a good cycle to work on as far  
 9 as construction of cells, and we've laid these  
 10 cells out to handle about two years of landfill  
 11 capacity at the design rate of 700,000 cubic yards  
 12 per year.

13 One thing I would like to point out in the  
 14 cell, we establish these base grades -- these  
 15 lines are actually established with some intent  
 16 and basically it's to get all the -- all the water  
 17 that drains in the landfill to the perimeter of  
 18 the cell within the lined area of the cell such  
 19 that it's collected along the edges of the cell.  
 20 This kind of zigzag pattern here allows us to kind  
 21 of put pipes down the middle and allows the water  
 22 again to drain to the side of the cells where it's  
 23 collected in leachate collection sumps which I'll  
 24 talk about in a little more detail. It also  
 25 provides us the ability to keep all those pipes

1 clean. If there is leachate, it's always going to  
 2 migrate to the outside of the cell where it can be  
 3 addressed and picked up.

4 Also included on this, a couple other  
 5 features I want to point out is this red area here  
 6 is where the base of the landfill is located under  
 7 the water table on the site. This is actually an  
 8 area with some of the deepest soils onsite, and so  
 9 what we do is this red area, it's about 12 acres,  
 10 we have an underdrain system underneath it which  
 11 will drain the water, keep the water table down so  
 12 we construct the landfill liner on top of that.  
 13 The areas in blue, and I'll go into it when I talk  
 14 about the liners, are areas where we have less  
 15 than ten feet of soil between the base of the  
 16 landfill and the bedrock, and in those areas we've  
 17 chosen to use an enhanced liner system. That  
 18 gives us another year in the travel time analysis  
 19 and it provides a more robust design. Basically  
 20 we're putting two composite liner systems in those  
 21 areas.

22 This slide shows kind of the sequence of  
 23 development of the expansion cells. The first  
 24 year we would build cell 11 in 2018, and this  
 25 shows the leachate pipes. The next year we would

1 build this final cover over the existing portion  
 2 of the existing landfill. I know this question  
 3 came up during your site visit so what's laid out  
 4 in the application is one year build a cell, the  
 5 next year build a cover and have the cover kind of  
 6 follow the development of the cell until we get to  
 7 the end of the site and we have the whole site  
 8 covered. We use this approach because this also  
 9 plays into how we calculate what the leachate  
 10 generation rate is going to be at the site over  
 11 the life of the facility.

12 This -- this slide, and I should have put  
 13 grass on the top, I apologize for that, shows the  
 14 typical cover system that's put on the landfill.  
 15 There's a vegetative cover layer which is a foot  
 16 thick, there's a drainage sand layer, there's a  
 17 membrane liner similar but not the same to the  
 18 liners that we use -- the membrane liners we use  
 19 in the liner system, and below that is a compacted  
 20 clay layer that provides a base for this membrane  
 21 and below that is the waste. So this essentially  
 22 cuts off all infiltration into the waste when this  
 23 final cover is completed and constructed.

24 I'm going to spend some time talking about  
 25 the various landfill components. First is the



1 liner, then the leachate, leak detection system,  
 2 the leachate collection sump, the landfill  
 3 infrastructure, and the surface water management  
 4 and erosion control features.

5 I'm going to use -- I'm going to go over  
 6 here to talk by these big pictures because one of  
 7 the problems that's always difficult, and I'm glad  
 8 Jeremy was able to make these large scales, is  
 9 it's pretty hard to kind of go through and see  
 10 some of these layers in that small scale but this  
 11 is a true-scale picture of the liner components of  
 12 the system and I'll go through those very briefly,  
 13 and I have some pictures of some of the  
 14 construction of this activity. So the waste is up  
 15 here. We put a five-foot soft layer and to answer  
 16 Chairman Parker's question, the soft layer is  
 17 about five percent of the waste volume. We  
 18 calculated that as we were sitting there, and  
 19 that's put on top of here to kind of protect the  
 20 liner. The soft layer is actually made up of  
 21 waste materials that are taken to the landfill  
 22 anyway but they're materials that are precluded  
 23 from that, things like construction and demolition  
 24 debris, big pieces of materials that would  
 25 have waste that could get driven into the liner

1 and cause a problem. So that five feet is up  
 2 above here. The first layer is the leachate  
 3 collection layer. You put a foot of sand, this is  
 4 what we call a geocomposite drainage net. This is  
 5 a high capacity manufactured material that we put  
 6 over the membrane to collect all the water that  
 7 filters down through the sand and convey it to the  
 8 leachate collection pipes. Now, one of the  
 9 conservative parts of our design is the rules  
 10 allow us to have a 12-foot head to allow the  
 11 leachate to saturate this entire level. We  
 12 designed this landfill with this drainage net so  
 13 that the head on this liner -- the amount of  
 14 leachate head buildup under design conditions is  
 15 about a quarter of an inch. These -- these --  
 16 these couple layers here are a little bit larger.  
 17 They're not to scale but this layer is about a  
 18 quarter of an inch thick, it has tremendous  
 19 drainage capacity and we designed this to minimize  
 20 the head on that liner system.

21 Right underneath that liner system is a  
 22 geomembrane. We use a high-density polyethylene  
 23 material. The rules call for use of a 60-mil  
 24 liner. We use a liner that's -- it's proposed an  
 25 80-mil liner because it's a more robust system and

1 that sits right on top and right below that we put  
 2 what we call a geosynthetic clay liner. This is a  
 3 material -- and I have some pictures I can show.  
 4 It's kind of a carpet material. It has a type of  
 5 clay, a bentonite clay, which is a material when  
 6 it comes in contact with water it will swell. We  
 7 use that in landfill design to protect -- it helps  
 8 protect this liner system. If there was a  
 9 puncture in this liner system, a typical picture  
 10 you'll see in the manufacturer's literature is a  
 11 nail driven through here, if water was in here, it  
 12 would drain down in here, this material would  
 13 swell up and seal that hole. I personally have  
 14 had experience on a landfill site where we had a  
 15 situation where an overzealous operator backed  
 16 down onto the sand, spun his tires and tore this  
 17 membrane liner. We had -- in that particular  
 18 landfill there was a layer of sand right  
 19 underneath him with a leachate collection pipe.  
 20 We were collecting -- we were testing the water  
 21 quality in that pipe and this sealing of this  
 22 liner kept that -- that GCL kept that liner from  
 23 leaking. I was very impressed in how that  
 24 actually worked.

25 Below that we put 12 inches of compacted

1 clay and we do that for a number of reasons. This  
 2 provides -- one of the important things in a liner  
 3 design is to provide robustness and thickness to  
 4 the design and this part is actually developed or  
 5 is shown to scale. This black line has nothing to  
 6 do with -- it has to do with how they printed off  
 7 this particular graphic, and so this is what we  
 8 call the primary liner system, these three layers  
 9 right here. This is the same system that's at the  
 10 Juniper Ridge Landfill right now, and it has  
 11 worked very well since it's been installed.

12 Below that we have the leak detection  
 13 layer which is again another foot of sand, we put  
 14 another high -- a high capacity drainage net on  
 15 the bottom and then under the -- which goes to the  
 16 leak detection pipes and then under that we use a  
 17 60-mil high-density polyethylene membrane liner.  
 18 Again, the rules call that we can use a 40-mil  
 19 liner, we've gone to a stronger more robust  
 20 system. The whole advantage of this system is  
 21 that obviously first it's to detect leaks. If  
 22 there is a leak, if something was to get down  
 23 through this, we would detect it in that pipe.  
 24 One of the questions that was raised in I believe  
 25 Mr. Spencer's testimony or comment was that, you

1 know, we -- the rules allow us a 30 day -- to  
 2 design a system such that it can detect a leak in  
 3 30 days. We actually -- the way we've laid this  
 4 system out and by using the types of system -- the  
 5 type of drainage composite we used here, we  
 6 actually have a three-day detection period. So  
 7 it's -- actually 30 days is what's in the rule,  
 8 we've put in a more robust system here to allow us  
 9 to detect the leaks at a quicker level, but for  
 10 anything to leak down through here, it has to get  
 11 down through this clay. This whole level really  
 12 would control the amount of leak that would  
 13 actually go into here and consequently would  
 14 control any liner -- any water that would be in  
 15 the leak detection layer and any head on the  
 16 secondary liner system. Below the 60-mil liner,  
 17 this is the imported clay layer. This is the one  
 18 foot of clay that we put down under the entire  
 19 base of the cell. This is a ten to the minus  
 20 seven centimeters per second clay. I'll give  
 21 you -- that's point one foot per year, that's the  
 22 permeability of this imported soil layer. We put  
 23 that down there for a number of reasons. One of  
 24 the reasons is also to provide a good stable base  
 25 to put this -- this secondary liner on to keep it

1 away from any rocks or anything that may be in the  
 2 soils down below it.  
 3 This -- this -- this is the augmented  
 4 system. The only difference in this system -- the  
 5 only -- this imported clay layer, this is also in  
 6 the existing Juniper Ridge Landfill. The only  
 7 difference is that that layer in the Juniper Ridge  
 8 Landfill there is not that leak detection layer.  
 9 It was an underdrain system that is tested. This  
 10 is the augmented liner system. Again, same  
 11 primary liner, same leak detection system but we  
 12 put -- in the secondary system we've put in a GCL  
 13 and another foot of clay to give us a secondary  
 14 composite system. So from here to here is our  
 15 liner system, the water would have to get down to  
 16 there and actually for the water to get into the  
 17 environment into the native soils, it would have  
 18 to travel all the way down through all these  
 19 layers down to this bottom here. The same here.  
 20 For water to get -- for a leak to develop here, it  
 21 would have to travel all the way down here to get  
 22 into the native soils down at the bottom.  
 23 One of the questions that came up -- I'll  
 24 address that a little bit later. These are some  
 25 slides showing the actual construction of a

1 landfill cell. This is -- this is grading the  
 2 base soils. You can kind of see when John talked  
 3 about the till nature of the soils. Unfortunately  
 4 when you had your site visit we weren't in  
 5 construction season. It's usually very helpful to  
 6 see how these cells are constructed to appreciate  
 7 how robust these systems are. This is the  
 8 imported clay layer. This is what the clay --  
 9 this is the installation of the clay that's placed  
 10 over the graded cells, this is it being spread,  
 11 and then it's compacted and it's kneaded together.  
 12 This is a picture of that imported clay. It's  
 13 also the same material that we use in the clay  
 14 layers of the liner system, and it shows how tight  
 15 these soils are. They're actually kneaded and  
 16 constructed so they're constructed in kind of a  
 17 very tight, tight soil once it's done. We  
 18 actually take samples of these soils as it's  
 19 constructed and we do testing of it to confirm  
 20 that it actually has the permeability that we  
 21 require, again that ten to the minus seven  
 22 centimeters per second, which is a point one foot  
 23 per year hydraulic conductivity.  
 24 This shows a secondary liner system and  
 25 leak detection system being installed. These

1 liner materials comes in sheets -- long sheets  
 2 about 18 feet wide, they're rolled out, they're  
 3 seamed together, I have a picture of that in my  
 4 next slide, and then the leak detection system is  
 5 constructed by first the pipes are installed and  
 6 then the sand is installed on top of them. You  
 7 can kind of see also the composite has been  
 8 installed and again, we put this composite on top  
 9 of this membrane to help protect the membrane.  
 10 That composite actually provides a physical  
 11 barrier to that membrane. So if there were any --  
 12 some designs don't include that, they just use a  
 13 fabric that doesn't have really any physical  
 14 separation. This is a physical -- a hard piece of  
 15 plastic which actually provides physical  
 16 separation, so it limits the potential for any  
 17 degradation or impact of construction of the liner  
 18 materials, the geomembrane materials. You can  
 19 also see this -- the way he's placing the sand, we  
 20 require them to keep their equipment a certain  
 21 number of feet off the bottom of the -- next to  
 22 these liner systems and so what they do is they  
 23 bring the sand in, they put it in and then they  
 24 back their way out so they're providing  
 25 protection. So this equipment is not causing

1 damage to the liner as it's being constructed.  
 2 This is a composite showing -- this is a  
 3 clay that's been prepared and compacted. On top  
 4 of that this is the GCL, again, it's a rolled  
 5 product that is rolled out, and then the  
 6 geomembrane is placed on top of it and this is a  
 7 seaming technique where the liners are seamed  
 8 together, they're actually what we call a dual  
 9 wedge weld, the weld is -- the wedge is -- the  
 10 liner -- the seam is actually two -- has two  
 11 places where it's joined and there's actually an  
 12 airspace in between. It's actually tested to make  
 13 sure that there is no -- that those two seams are  
 14 tight.  
 15 And this is just a composite showing a  
 16 geomembrane -- the GCL and then the compacted clay  
 17 liner. Again, this is a picture of the leachate  
 18 collection sand being installed. You can see the  
 19 geocomposite. This protects -- this is placed  
 20 right over the liner. The stone is placed on top  
 21 and you can see how they're using small equipment  
 22 to move the sand on top of the liner. We're very  
 23 fortunate in the State of Maine to have some  
 24 contractors who are very good at doing this work.  
 25 It's kind of finesse work, it's something where

1 you have to have people who know what they're  
 2 doing and appreciate it and we're fortunate enough  
 3 to have those types of contractors in the State of  
 4 Maine.  
 5 This is the completed cell. This is  
 6 actually -- this was the last cell we built out  
 7 there, cell 9, and this is actually the completed  
 8 cell. This is the intermediate cover that's  
 9 placed on the existing cells. I think you saw  
 10 this when you were out here. As this landfill is  
 11 filled, this cover is pushed back, it's cut back,  
 12 but we divert all the clean water up on top away  
 13 from the cell. As part of this project, and  
 14 Juniper Ridge is one of a few places in the entire  
 15 country, the number I have in my testimony is  
 16 about two percent of the geomembrane installations  
 17 that are done in the United States have what we  
 18 call a leak location -- a leak detect -- a leak  
 19 location survey done after the installation. What  
 20 this survey does is we bring a company in, they  
 21 actually put electrodes down below the plastic,  
 22 below the membrane, and then one on top and they  
 23 create a current. If there's a defect in the  
 24 liner, that current will connect and they'll pick  
 25 it up with their equipment. They can pick up

1 defects in liners that you can't see with the  
 2 human eye, and when we built this cell, I was out  
 3 there while they were doing this survey, it's  
 4 interesting, he's walking around six acres of  
 5 sand, he'll tell the contractors, dig this area  
 6 up, they'll shovel it off, they'll cut the  
 7 geocomposite, you'll look at it and say there's  
 8 nothing wrong with this liner, and they'll say  
 9 wait a minute and they'll pump on it and you'll  
 10 see a very small leak that you can't even see that  
 11 this system will detect. Again, only two percent  
 12 of the liners installed in the United States use  
 13 this technique as a common part of their QA/QC.  
 14 One of the items that came up in the -- in  
 15 the testimony and was a comment, do all liners  
 16 leak. Well, this has been this kind of the  
 17 conventional wisdom, everybody has heard this for  
 18 years and years and years. I don't agree with  
 19 that statement. When landfill liners -- when we  
 20 first started using HDB membrane liners, there  
 21 were issues associated with construction  
 22 techniques. People didn't know how to construct  
 23 them. There were items that the construction --  
 24 the types of materials don't have the quality  
 25 control that they do now. Those two issues and

1 the use of this survey is we can provide a liner  
 2 system that when we get done, we're very confident  
 3 that that landfill has been designed without any  
 4 defects in it. In addition, that statement does  
 5 not consider a couple other aspects. One of the  
 6 common causes of liner leakage that we have found  
 7 in the industry over the years is penetrations  
 8 through the liner. If you run a leachate pipe  
 9 outside of the cell, you put -- the old way of  
 10 doing it was to put a penetration through the  
 11 liner, basically cut a hole in the liner, run the  
 12 pipe through and then put a boot around that pipe.  
 13 Those have been notorious problems in landfills.  
 14 The DEP has recognized that and for a number of  
 15 years now, probably more than I can -- probably 15  
 16 years, we have gone to internal leachate sumps to  
 17 eliminate those sources of liner leaks because  
 18 those are what cause -- so, you know, what causes  
 19 liner leaks are construction-related damage which  
 20 we address through our QA/QC and this leak  
 21 location survey that we do that's not done on very  
 22 many sites in the State of Maine and we  
 23 eliminate -- we don't put penetrations into the  
 24 liner system.  
 25 This is a leachate collection line, and as

1 I indicated, these are showing the leachate pipes,  
 2 they're all running to the edge of the cells.  
 3 Internal -- this is all internally an all-lined  
 4 area, and what we do is we collect leachate in  
 5 individual leachate sumps, and because of the way  
 6 this site is graded, we have both temporary sumps  
 7 in the first two cells and then the last cell on  
 8 each site we have a permanent pump station. Now,  
 9 the permanent pump station is similar to what you  
 10 saw on your site visit a couple months ago. The  
 11 temporary -- the temporary pump stations are the  
 12 same concept. What we're doing is we're just  
 13 putting -- we put one pipe in, they're meant to --  
 14 once we close out -- once we've filled the cell  
 15 and moved on to the next cell, those pumps will be  
 16 pulled, the lines will be tied in and the pulp  
 17 station will go down to the next -- the leachate  
 18 will flow down to the next temporary station and  
 19 the pipes will actually stay in place to allow us  
 20 to clean those lines. Now, the layout of these  
 21 lines is such that we can continuously clean them  
 22 for the entire life of the facility plus the  
 23 post-closure period.  
 24 The leak detection system has a very  
 25 similar layout. The piping isn't quite as closely

1 spaced because we don't have as much water to deal  
 2 with, and once the water is collected in these  
 3 sumps, it's pumped through a force main and the  
 4 force main is double walled. There's a pipe  
 5 within a pipe and there's an annulus that we  
 6 collect and we measure the pressure in that to  
 7 make sure there's no leak in that first pipe -- in  
 8 that first main carrier pipe. That pipe all runs  
 9 along the edge of the landfill to the leachate  
 10 storage tank.  
 11 One of the items that came up in the  
 12 discussion -- in the direct testimony, I believe  
 13 it was by Mr. Spencer, was the capacity of using a  
 14 25-year/24-hour storm in our design. Now, we use  
 15 a 25-year/24-hour storm in our leachate design and  
 16 we also use it in our stormwater design. That's  
 17 per what's in the rules, but what we do is we say,  
 18 all right, we look at the layout of the facilities  
 19 and we say what's the largest area that we're  
 20 going to have that we could have water fall in the  
 21 cell, and cell 12 is the biggest cell, and we  
 22 designed a sump to take and be able to handle that  
 23 capacity in the sump until the pump can pump it  
 24 out because when we have a rain event, we have  
 25 much higher leachate generation rates than we

1 have, say, like this last week where we haven't  
 2 had rain for a period of time. The leachate  
 3 rates, if you look at them, they go up and down  
 4 depending on the weather patterns. So we design  
 5 those sumps to handle that 25-year/24-hour storm  
 6 event; however, we don't just say -- and when I  
 7 say design to handle, that it will not overflow  
 8 the embankments that we have capacity in here to  
 9 contain that leachate within the cell until it can  
 10 be pumped out. We don't say, all right, a 25-year  
 11 storm, we look at it to make sure we have free --  
 12 or extra space above the highest level that we  
 13 model to store additional water for those bigger  
 14 storms for all those conditions that could occur,  
 15 that, you know, we can anticipate and basically we  
 16 looked -- in my redirect on the testimony, we  
 17 looked at the sump size and basically for this  
 18 sump we have about three times the actual capacity  
 19 in the cell for what's needed in this  
 20 25-year/24-hour storm event. We know this  
 21 technique works, we've used it for a number of  
 22 years, we have actual experience in its  
 23 performance during actual storm events, in fact,  
 24 last year in September we had a storm that was  
 25 5.27 inches of water, a 25-year/24-hour storm in

1 this area, when this application was prepared it  
 2 was 4.8 inches. The leachate pumping rates at the  
 3 facility went from about 20,000 gallons a day up  
 4 to about 112,000 gallons a day. We were able to  
 5 contain all the leachate within this cell. These  
 6 pump stations are all hard wired. They're hard  
 7 wired into a system so Casella can see realtime  
 8 what's going on with the system. If there was to  
 9 be a failure of power, Casella has backup  
 10 generators which they could go and hook up and  
 11 pump out of these cells. In addition to that, the  
 12 leachate tank is sized and the rules require that  
 13 we provide extra storage capacity in the tank. As  
 14 part of the application, we go through a design  
 15 process that shows that we have backup storage  
 16 capacity in the tank in addition to the tank we  
 17 need for the wettest months.  
 18 This is actually a photograph of what you  
 19 didn't see on your visit that was under the waste.  
 20 This is actually the construction of one of these  
 21 sumps. Basically -- you probably saw the end of  
 22 these pipes when you looked in the building.  
 23 These pipes are riser pipes, they go down, they  
 24 sit on the bottom of the floor, we actually put a  
 25 one-inch thick high-density polyethylene piece of

1 four-by-eight sheath on the bottom to protect the  
 2 liner underneath it. We actually enhance the  
 3 liner under the individual sumps and then the  
 4 pumps are slid down into these pipes. Now, the  
 5 pumps are similar to what a water well pump would  
 6 look like, they're a long pump, they're just a  
 7 higher capacity, higher horsepower, so they're a  
 8 little bit bigger than your typical water well but  
 9 they're the same type of pumps. In that -- on top  
 10 of that we place -- that's the placement of the  
 11 stone that's placed in the sump and that  
 12 provides -- the water level that builds up, the  
 13 water flows into these holes in these pipes and  
 14 it's pumped out of the site to the leachate  
 15 storage tank.

16 Landfill gas infrastructure, the  
 17 expansion, as with the existing facility, uses two  
 18 ways to collect gas that's generated by this  
 19 facility. The first is horizontal trenches which  
 20 are installed as the waste is being placed in the  
 21 waste. They're installed at about a 40-foot  
 22 vertical interval and about a hundred-foot spacing  
 23 along -- horizontal spacing within the waste, and  
 24 as I said, those are -- once they get up to the  
 25 elevation where the pipe has been identified to be

1 installed, the pipes are installed as part of the  
 2 active operation of the facility. Once the  
 3 landfill has reached final grade, vertical gas  
 4 extraction wells are installed in through the  
 5 waste. These vertical extraction wells are the  
 6 primary long-term means of collecting gas from  
 7 this facility. They're actually laid out to  
 8 collect all the gas that's being generated by this  
 9 facility. The horizontal pipes, there's an  
 10 appreciation that water can -- what we call water  
 11 now can occur in these pipes. Basically because  
 12 these are inactive areas, as the waste settles,  
 13 these are six-inch pipes, they can actually end up  
 14 with sags and because the landfill gas is actually  
 15 quite wet, that water can condensate, the  
 16 condensate can drop out and block these pipes. So  
 17 these horizontal pipes are not intended to be long  
 18 term gas extraction. They're meant to operate  
 19 during the operational life of the facility and  
 20 typically they will keep drawing gas until, you  
 21 know, there's gas there to be obtained.

22 This shows the layout of the -- of the --  
 23 of the -- I'm sorry -- of the landfill gas wells.  
 24 Again, these wells have been laid out by Sanborn,  
 25 Head who does all the design gas work and are

1 experts in landfill gas construction and design,  
 2 and all this gas is collected by these wells. The  
 3 gas is conveyed to header pipes. There's one  
 4 header pipe -- a new header pipe that will be  
 5 installed on the east side and then there's a  
 6 header pipe here to an existing header pipe and  
 7 all the gas will generate -- will flow to the  
 8 onsite -- to the gas treatment facility and  
 9 ultimately to either the gas flare or in the  
 10 future some type of energy-type project.

11 The existing infrastructure has the  
 12 capacity to handle the amount of gas that's  
 13 projected to be generated from this expansion and  
 14 again, those projections are based on the  
 15 experience that has been gained from the Juniper  
 16 Ridge Landfill site and selection of parameters  
 17 that reflect what the actual gas generation needs  
 18 are.

19 Stormwater management and erosion control,  
 20 the expansion is designed based -- the erosion  
 21 control, the first part is there's long-term  
 22 erosion and there's also stormwater erosion  
 23 control measures that are implemented during  
 24 construction and operation. All those measures  
 25 that are designed -- this facility has been

1 designed in accordance with the Maine DEP Best  
 2 Management Practices for those activities. That  
 3 has to do with sizing ditches, riprap protection,  
 4 outlet protection, different criteria that's  
 5 typical of any type of civil engineering project  
 6 that is dealing with managing stormwater.

7 The stormwater management is water that's  
 8 collected off of -- this consists of clean runoff.  
 9 This is runoff that's collected off the cover  
 10 material, off the intermediate cover -- off the  
 11 intermediate cover and off the final covers. None  
 12 of this water comes in contact with the waste.  
 13 This is conveyed to one of eight stormwater  
 14 detention ponds. There's two down here, there's a  
 15 small one here, there's one here and there's one  
 16 up here that we're going to expand. Those ponds  
 17 are currently existing. We have three new  
 18 stormwater ponds, one pond is here, one pond here  
 19 and one pond here. Now, these ponds are designed  
 20 to limit what we call the post-development flow,  
 21 after we develop the site, to the stormwater flows  
 22 off the site prior to the landfill construction --  
 23 actually prior to even the existing landfill  
 24 construction, and so we go through a fairly  
 25 extensive analysis -- modeling analysis to size

1 these ponds to make sure that they -- that we can  
 2 draw the conclusion that the pre-development flows  
 3 and post-development flows from the site are the  
 4 same, and that information is reviewed by the DEP  
 5 and my understanding is they've concurred with our  
 6 design on that.

7 Each of these ponds has a structure in it,  
 8 an outlet structure which controls the rate that  
 9 the water is released, the actual discharge  
 10 location for all these ponds are onto surface  
 11 bodies -- are onto actually the ground surface and  
 12 we use something called a level spreader to spread  
 13 out that water so it flows over the ground surface  
 14 and it doesn't erode the soils. Those -- they  
 15 eventually drain to the low areas in the drainage  
 16 areas. Each pond is also sized to handle a  
 17 hundred year storm event. In a hundred year storm  
 18 event, the water would flow over -- we put  
 19 structures in there so the water would flow over  
 20 and out of the pond so it won't compromise the  
 21 integrity of the pond system.

22 One of the parts of the design is the  
 23 expansion -- is the settlement and stability  
 24 analysis and John talked about the strength of the  
 25 soils underneath the site. The DEP rules have

1 minimum requirements for the stability analysis  
 2 and basically this is looking at how much force is  
 3 -- it's kind of a balance that we look at will  
 4 this landfill fail because of the weight of the  
 5 facility and will it -- is there enough strength  
 6 in the soil underneath the landfill to hold it up.  
 7 The DEP requires a minimum long-term of 1.5 for  
 8 the factor of safety. So there's 150 percent of  
 9 the strength needed to hold this up. So 100  
 10 percent the weight of that landfill will be held  
 11 up by the weight of the soils. The DEP rules  
 12 require you to have 150 percent of that strength  
 13 and that's a typical way stability analyses are  
 14 done in any industry. You can see -- you can see  
 15 below the factors of safety, we look at the safety  
 16 in the waste, we look at in the liner along the  
 17 liner limits and also in the foundation soils, and  
 18 you can see we exceed those factors of safety for  
 19 all those conditions we evaluated.

20 We also look at landfill settlement, how  
 21 much it's going to settle based on the weight of  
 22 the waste that's placed on there. Our  
 23 calculations for this site are about point three  
 24 zero three to three feet. The -- that --  
 25 typically settlement is a bigger issue on a clay

1 site where you have more compressible soils and  
 2 stability is also a bigger issue. That's one  
 3 thing nice about working on these till soils,  
 4 they're very strong, they're not susceptible to a  
 5 lot of compression as a clay site would be.

6 One of the items that came up in the  
 7 testimony was the floodplain mapping and did the  
 8 facility -- what would happen if the floodplains  
 9 changed. The rules require us to look at the  
 10 latest FEMA flood maps and to make sure that our  
 11 facility is not located within the boundaries of  
 12 the facilities. This figure we put together after  
 13 that comment came out and these are kind of -- we  
 14 superimposed the floodplain -- hundred year  
 15 floodplain boundaries based on the FEMA maps to  
 16 the landfill facility and we looked at  
 17 elevationally what's the difference between the  
 18 lowest part of the landfill and these floodplain  
 19 elevations, and the difference on one side is 12  
 20 feet and the other is 32 feet between the lowest  
 21 area in the landfill and the highest elevation  
 22 that this floodplain falls over the existing  
 23 contour lines. Now, in reality what's going to  
 24 happen obviously in a flood, as John indicated,  
 25 there's a lot of low-lying areas around the

1 facility and so the flood would actually spread  
 2 out into these low-lying areas. So we felt that  
 3 that is really not a concern. The site, first of  
 4 all, meets what's in the requirements of the rules  
 5 but it's also located high on a ridge. So if that  
 6 area was to expand, it's very unlikely there would  
 7 be any impact of floodplain on this facility.

8 So here's my conclusions. Expansion will  
 9 be -- I'm sorry, we'll talk about construction.  
 10 The expansion is progressively constructed over  
 11 the life of the facility. This allows us to  
 12 incorporate new information as it comes along.  
 13 Probably the biggest one that this would apply to  
 14 would be stormwater numbers. If the stormwater --  
 15 if the 25-year/24-hour storm event changes over  
 16 time, which they do, we -- we go through that  
 17 calculation with each of the new expansion sites  
 18 and we would modify the design to reflect what the  
 19 current storm -- the current published storms are  
 20 for the design standards. We obviously did this  
 21 -- at some point when we do this application, we  
 22 have to look at what's available and then we  
 23 design around that, but as we build each cell, we  
 24 go back through the design and we make sure that  
 25 we're up to the current standards in the design.

1 Prior to construction, as I indicated before, all  
 2 the plans and specifications are prepared and  
 3 submitted to the DEP and reviewed and approved so  
 4 each of the landfill cells go through a detailed  
 5 set of designs. In the application we have the  
 6 detailed designs for cell 11. Those plans are a  
 7 construction ready set of plans that could go out  
 8 to a contractor and have them construct it.  
 9 During construction there's a very large quality  
 10 assurance/quality control program. We have  
 11 personnel onsite during construction to observe  
 12 the construction and to perform various  
 13 conformance testing on materials. Now, we test  
 14 the soils that are used in the construction, we  
 15 test the liner materials, we actually take samples  
 16 of the materials, cut the actual materials, send  
 17 them off to independent laboratories to make sure  
 18 the materials have the properties that we've  
 19 included in the specifications. Once that  
 20 information is required -- once all that stuff is  
 21 put together, all that information is submitted to  
 22 the DEP to review to demonstrate -- and they have  
 23 to give us approval on a final inspection to place  
 24 waste in the cell. So they'll go through all that  
 25 information that we compile which ends up being

1 about as thick as one of our -- probably a doc  
 2 about this big with all the different testing and  
 3 documentation that goes into constructing one of  
 4 these landfills. They go through that and they  
 5 provide an acceptance that we build the system in  
 6 accordance with our design prior to putting any  
 7 type of waste into the cell.  
 8 So my conclusions are the expansion design  
 9 meets or exceeds the relevant NRPA standards and  
 10 the standards of the solid waste management rules  
 11 including the Prohibitive and Siting Criteria and  
 12 the Performance Design Standards contained in  
 13 Chapter 400 and 401, which are the design-related  
 14 chapters. The design of the expansion is based on  
 15 the excellent site setting, the collective  
 16 experience of the professionals responsible for  
 17 its design and operations and experience obtained  
 18 from site operations. Thank you.  
 19 CHAIRMAN PARKER: Thank you, Mike. We're  
 20 going to take a five-minute break. We'll be back  
 21 at 11:05 or 11:06.  
 22 **(OFF RECORD)**  
 23 CHAIRMAN PARKER: Okay.  
 24 MR. DOYLE: Okay, our next witness is  
 25 Bryan Emerson. Bryan is a wetland scientist

1 certified by the Society of Wetland Scientists.  
 2 He's a graduate of the University of Vermont with  
 3 a bachelor of science degree in environmental  
 4 science and a minor in chemistry. He's employed  
 5 by Stantec Consulting where he's a project manager  
 6 and a wetland scientist. At Stantec, Bryan  
 7 manages and conducts a variety of natural resource  
 8 planning projects, including wetland delineations,  
 9 wetland functions and value assessments, wetland  
 10 mitigation planning and design, vernal pool  
 11 surveys, wildlife habitat assessments, wildlife  
 12 monitoring and invasive species management. He's  
 13 currently the wetland discipline lead for  
 14 Stantec's Topsham office. A copy of Bryan's  
 15 resume can be found at BGS/NEWSME Exhibit #21.  
 16 Bryan will discuss the natural resource surveys,  
 17 wetland delineation and vernal pool surveys,  
 18 mitigation of impacts and compensation issues  
 19 related to the project. Bryan.  
 20 MR. EMERSON: Thank you, Tom. Good  
 21 morning, Chairman, Members of the Board. As Tom  
 22 mentioned, I will be discussing the natural  
 23 resource surveys that Stantec performed as part of  
 24 this project, the surveys that are required by  
 25 both Maine DEP and the Army Corps of Engineers.

1 I'll discuss some of the efforts on avoidance and  
 2 minimization and then discuss the actual wetland  
 3 and vernal pool alterations that are proposed for  
 4 the project. I'll go into a little bit on the  
 5 compensatory mitigation plan that we designed and  
 6 then provide some information on Atlantic salmon  
 7 and Atlantic sturgeon and short-nosed sturgeon.  
 8 So as a start, again, the natural resource  
 9 surveys that were performed to meet the standards  
 10 of both the Natural Resources Protection Act and  
 11 the Clean Water Act for the Army Corps of  
 12 Engineers, Stantec began work on this expansion  
 13 back in 2004 and in 2008 when initial wetland  
 14 delineations were done on this site. We went back  
 15 out in 2014 and 2015 to verify those wetland  
 16 delineations. The delineations were performed  
 17 according to the Corps of Engineers' wetlands  
 18 delineations manual, which is also the methods  
 19 that are recommended by the Maine DEP, and these  
 20 wetlands needed to be verified because the wetland  
 21 delineation protocols changed, the Corps of  
 22 Engineers issued a regional supplement to the  
 23 wetland delineation manual so we had to go back  
 24 out and verify the wetland boundaries in  
 25 accordance with these new standards and protocols.

1 CHAIRMAN PARKER: Excuse me, Bryan?  
 2 MR. EMERSON: Yes?  
 3 CHAIRMAN PARKER: Can you slow down just a  
 4 little bit?  
 5 MR. EMERSON: Sure.  
 6 CHAIRMAN PARKER: I think our stenographer  
 7 would appreciate that.  
 8 MR. EMERSON: Sure, absolutely, sorry.  
 9 I'll discuss the results here. We identified  
 10 eight wetlands within the expansion area, either  
 11 wholly or partially within the expansion area.  
 12 They were primarily forested wetlands and none of  
 13 the wetlands were determined to be wetlands of  
 14 special significance, and just to be clear,  
 15 wetlands of special significance are a class of  
 16 wetlands that are a higher value wetlands.  
 17 They're defined in Chapter 310 of the NRPA saying  
 18 they're wetlands that are coastal wetlands,  
 19 peatlands, wetlands in floodplains or wetlands  
 20 with large emergent marsh areas or open water  
 21 areas and we did not have any of those in the  
 22 expansion area.  
 23 So this next slide shows the expansion  
 24 area. Again, here's the existing landfill and the  
 25 expansion area is outlined in red. These areas in

1 blue were the wetlands that we identified as part  
 2 of the wetland delineations that were conducted  
 3 within the expansion area there.  
 4 So next we performed vernal pool surveys  
 5 on the project. Vernal pool surveys were  
 6 conducted throughout not just the expansion area  
 7 but also the 780-acre parcel on which the entire  
 8 facility sits. Those surveys were performed  
 9 according to the Maine Association of Wetland  
 10 Scientists' vernal pool survey protocol. That's  
 11 the industry standard for vernal pool surveys here  
 12 and it's a method -- a protocol that's been  
 13 approved by both the Department of Inland  
 14 Fisheries and Wildlife and the DEP. As a result  
 15 of those surveys, we identified 14 vernal pools  
 16 within the expansion area itself, ten of those  
 17 were man-made vernal pools and I point that out  
 18 because Chapter 335 which defines vernal pools for  
 19 Maine DEP specifically states that vernal pools  
 20 need to be naturally occurring for them to meet  
 21 the definition of a vernal pool by DEP standards.  
 22 So ten of the pools that we identified provided  
 23 functioning habitat for vernal pool species but  
 24 didn't meet the DEP's definition of a vernal pool.  
 25 We did identify one significant vernal pool and

1 that was not located within the expansion area  
 2 itself but the 250-foot habitat -- critical  
 3 terrestrial habitat that surrounds that pool  
 4 overlaps with the expansion area and I'll show you  
 5 a figure here on the next slide.  
 6 So these -- they're a little tough to see  
 7 here but the little pink dots are the vernal pools  
 8 we identified within the expansion area and then  
 9 this dot on the side here with this black circle,  
 10 that's the significant vernal pool and that's the  
 11 250-foot circle around the pool. So you see that  
 12 this line here is the electrical line. I'll  
 13 discuss this a bit a little bit later, but that  
 14 250-foot habitat overlaps with the project but the  
 15 pool itself is not located within the project  
 16 area. And I mentioned those manmade pools just to  
 17 give you a sense of those. This is one of those  
 18 pools. It's just a manmade vernal pool, it's an  
 19 old skidder rut from past historic logging  
 20 activities on the project site. This pool had a  
 21 couple egg masses in it. This was, you know, a  
 22 typical one of these manmade, not naturally  
 23 occurring features but still provides some  
 24 habitat.  
 25 So the next survey we did was a function

1 and value assessment, and this assessment we did  
 2 according to the Corps of Engineers' Highway  
 3 Methodology. That's the methodology, again, that  
 4 DEP recommends as part of the -- within the NRPA  
 5 and that methodology assesses whether certain  
 6 wetlands provide a list of about 13 functions and  
 7 values and then the method dictates that you  
 8 describe if those are considered principal  
 9 functions of those wetlands, whether they provide  
 10 those functions at a high level.  
 11 There's also that assessment where that  
 12 the wetlands within the expansion area provided  
 13 relatively little -- limited, excuse me, functions  
 14 and values. We determined that wildlife habitat  
 15 was a principal function of those wetlands and  
 16 that's primarily a result of those vernal pools.  
 17 The wetlands provided vernal pool habitat and,  
 18 therefore, we determined wildlife habitat was a  
 19 principal function. The other functions that  
 20 were provided at a limited level were the sediment  
 21 intoxicant retention, nutrient removal, production  
 22 export and flood flow alternation. Again, the  
 23 wetlands provide these functions but not to a  
 24 capacity to be considered principal.  
 25 And the reasoning for that, the way we



1 determined that these were relatively low  
 2 functioning wetlands is primarily because of the  
 3 lack of habitat diversity. Again, I mentioned  
 4 these were forested wetlands, which is the most  
 5 common wetland type we have in Maine, they're  
 6 relatively isolated, there are no surface water  
 7 connections to the larger wetland systems around,  
 8 there's, like I said, past historic disturbance,  
 9 they're relatively small and, again, there's no  
 10 streams located on the site which allow wetlands  
 11 to provide more functions as well.

12 So that summarizes the field surveys that  
 13 we did and assessments. I'll discuss a little bit  
 14 about avoidance and minimization efforts, and,  
 15 again, Mike Booth talked about the site selection  
 16 and alternatives analysis process. I'm going to  
 17 focus more on the steps that were taken once the  
 18 site was actually selected to avoid and minimize  
 19 impacts.

20 Mike discussed the multiple design  
 21 alternatives that were considered as part of the  
 22 project's design with 4.5, 3.4 wetland acres -- I  
 23 mean acres of wetland impacts. Sevee and Maher  
 24 and Stantec we worked sort of on an iterative  
 25 process back and forth to try to find a design

1 that would minimize impacts to the maximum extent  
 2 but also still meet the purpose of the project.  
 3 So we had lots of discussions back and forth.  
 4 We -- our field staff went back out and performed  
 5 extra delineations and field checks when they had  
 6 to modify the design to make sure we were  
 7 covering -- everything was covered and we had made  
 8 sure the wetland delineations were up to date. So  
 9 there was really a lot of back and forth and a  
 10 team effort there to identify natural resources to  
 11 avoid and minimize.

12 Once we decided on the layout and  
 13 minimization efforts, again, which Mike discussed,  
 14 trying to optimize the landfill footprint and  
 15 configure the landfill footprint to get the  
 16 greatest capacity, also locating some of the  
 17 accessory structures in upland areas, structures  
 18 like roads and stormwater ponds and scales and  
 19 those types of things outside -- located outside  
 20 of wetlands to, again, minimize impacts. One  
 21 example of that is that the roads for the project  
 22 on the perimeter are located on the perimeter  
 23 berms of the landfill, again, just to try to keep  
 24 it from expanding out and minimizing impacts as  
 25 best as we could.

1 So despite those efforts, there's still  
 2 some level of impacts proposed and I'll discuss  
 3 what those alterations are now. As Mike also  
 4 mentioned, we -- the project includes  
 5 approximately 2.04 acres of direct impacts to  
 6 forested wetlands. That includes impacts to five  
 7 separate wetlands that are either wholly or  
 8 partially being impacted. Only one wetland is  
 9 being completely filled and that's a very small  
 10 wetland that I'll point out in the next slide.  
 11 There's also a tenth of an acre of clearing of  
 12 wetlands associated with the project as well and  
 13 that's where we're clearing the overstory, the  
 14 canopy and trees, but there's no fill associated  
 15 with those impacts. They will remain as wetlands  
 16 but the community type will switch to an emergent  
 17 wetland or scrub/shrub type of a wetland.

18 And I'll show these here on this figure.  
 19 The wetlands being filled are right here in the  
 20 middle. It's primarily this one large wetland in  
 21 the middle and another decent size wetland here.  
 22 The one wetland being completely filled is this  
 23 small one right in the middle here. The wetlands  
 24 that are being cleared are located along the  
 25 electrical line on the east side here and that

1 clearing is -- that tenth of an acre is split  
 2 amongst two different wetlands, so a little bit on  
 3 this wetland and a little bit up in this wetland  
 4 here.

5 And, again, onto the vernal pools, again,  
 6 none of the vernal pools within the direct  
 7 expansion area meet the DEP's definition of a  
 8 vernal pool. There are proposed impacts to these  
 9 manmade and Corps jurisdictional pools but they  
 10 don't meet the criteria to be considered  
 11 significant vernal pools. We did have one  
 12 impact -- and that's -- that's direct impacts to  
 13 the pools themselves. We did have that one  
 14 significant vernal pool I mentioned which has  
 15 clearing within the 250-foot critical terrestrial  
 16 habitat. We're clearing approximately 5.5 percent  
 17 of that total habitat and the DEP allows impacts  
 18 within that 250-foot habitat to be approved under  
 19 the Permit By Rule standards provided that there's  
 20 no impacts to the depression -- the actual pool  
 21 itself and that you maintain 75 percent forested  
 22 cover around that pool, and this figure which is  
 23 my -- BGS/NEWSME Exhibit 32, shows the vernal pool  
 24 right there in the center and here's the clearing  
 25 impact within 250 feet. This black circle is the

1 250-foot circle. So clearly no impacts to the  
2 pool and maintaining 75 percent of the habitat,  
3 and that Permit by Rule was submitted in the  
4 summer of 2015 and approved.

5 So because we do have impacts to the  
6 project we're required to compensate for those  
7 impacts, and so as you'll see, as I'll explain  
8 more, we used preservation as the means to provide  
9 compensation for these wetland impacts and Chapter  
10 310 of the Wetlands and Waterbodies Protection  
11 allows for the use of preservation as a form of  
12 compensation. Among other options, preservation  
13 is listed as -- you know, it's allowing  
14 preservation of existing wetlands or adjacent  
15 uplands with this site to be preserved to provide  
16 significant wetland functions, and so that's -- to  
17 make sure that was clear. Preservation is also an  
18 acceptable form of compensation for the Corps of  
19 Engineers as well.

20 And so as we set about designing or trying  
21 to come up with a mitigation plan, we had to  
22 consider both DEP's requirements and the Corps of  
23 Engineers' requirements and their guidance and we  
24 discussed this mitigation plan early on with both  
25 agencies and discussed what our options were, we

1 met along through the process, had some  
2 discussions to try to finalize a plan. When it  
3 comes to preservation, DEP typically requires an  
4 eight to one ratio for preservation and that's the  
5 ratio of area protected to area impacted. The  
6 Corps requires a higher ratio, 15 to one being  
7 their ratio under their mitigation guidelines, and  
8 again, we had to provide compensation for those  
9 manmade vernal pools for the Army Corps of  
10 Engineers. We didn't have to do it for DEP  
11 because our only vernal pool impact was that  
12 significant vernal pool that we covered with the  
13 Permit By Rule but to meet the Corps standards we  
14 had to do that, we had to compensate for those  
15 manmade pools. So in essence, the plan was  
16 designed to meet the Corps standards more because  
17 the ratios are higher and we're required to  
18 compensate for those vernal pools. By doing so,  
19 we would also -- we were meeting the DEP's  
20 requirements along the way.

21 So, again, as I said, 2.04 acres of  
22 wetland impact is what we're proposing. At an  
23 eight to one ratio, that's 16.3 acres of  
24 preservation. That would be the minimum  
25 requirement. Using a 15 to one ratio, the Corps

1 standard, that's about 31 acres of preservation as  
2 a minimum. To compensate for those manmade vernal  
3 pools, we had, again, six of those Corps  
4 jurisdictional pools and the total habitat  
5 surrounding those pools, the combined -- I'll show  
6 a figure that will show this better -- the Corps  
7 regulates 750 feet out from the pools. So we  
8 combined the 750-foot habitat circles around these  
9 pools and got a total acreage of 94 acres that we  
10 needed to compensate for there. So if you take  
11 the 94 acres for the Corps for the vernal pools  
12 plus the 31 acres for the wetlands, that's about  
13 125 acres is what we were looking for to provide  
14 compensation for the Corps.

15 Again, this figure shows in that red  
16 outlined circle is that 94 acres of 750-foot  
17 habitat circle around all these vernal pools. So  
18 we took all these pools, drew a 750-foot circle  
19 and then kind of merged those buffers together  
20 into one big habitat circle, and that's how we  
21 landed on that 94 acre number.

22 So in the end, our final plan, we were  
23 preserving -- proposing to preserve 266 acres of  
24 preservation, and this is located north of the  
25 expansion area on landfill property. The -- the

1 preservation area includes 57 acres of wetlands,  
2 25 functioning vernal pools that were documented  
3 during the vernal pool survey, three significant  
4 vernal pools and an additional high-value wetland  
5 habitat which I'll describe in a minute; and,  
6 again, if we're trying to -- we were looking to  
7 get 16.3 acres as a minimum for DEP so we're  
8 providing more than 16 times more than what the  
9 DEP would require for preservation; and, again,  
10 with 125 acres required for the Corps, we're still  
11 providing more than twice that.

12 This figure shows -- shows the  
13 preservation area, again, a little tricky to see  
14 but this is Exhibit #33 in my direct testimony.  
15 It's this area outlined in orange here at the  
16 north end of the property. This area -- this area  
17 in purple here is a previous preservation area  
18 that was protected. When the original landfill  
19 was sited and permitted, this area was protected  
20 by a deed restriction. We are encompassing that  
21 preservation area as well. These red and white  
22 circles are the vernal pools that we identified in  
23 the project during a vernal pools survey in 2015  
24 and these which are quite hard to see  
25 unfortunately are the significant vernal pools,

1 these black circles here, are the three  
 2 significant vernal pools on the site.  
 3 So the preservation area, as I mentioned,  
 4 has a diverse mix of uplands and wetlands. It  
 5 provides some more high-value wetlands than the  
 6 expansion area itself does. There's areas of  
 7 peatland and emergent marsh, beaver flowages,  
 8 forested wetlands, scrub/shrubs and some  
 9 significant vernal pools. Many of those wetlands  
 10 meet those definitions in Chapter 310 of wetlands  
 11 of special significance, the peatlands being one,  
 12 the emergent marshes that are greater than 20,000  
 13 square feet in size meet that definition. The  
 14 wetlands on this site also provide significantly  
 15 higher functions and values than those being  
 16 impacted. So we have the value -- or the function  
 17 of wildlife habitat, which I mentioned before,  
 18 also the characteristics of these wetlands allow  
 19 them to provide more of these functions, sediment  
 20 toxicant retention, nutrient removal, flow water  
 21 alternations, etcetera. Those are -- as a result  
 22 of -- you know, they contain more deep soils, they  
 23 have a more diverse mix of vegetation, dense  
 24 emerging vegetation, some of these other  
 25 characteristics that allow them to perform these

1 functions.  
 2 I'll provide a couple pictures of the  
 3 preservation site just to give you a sense for  
 4 what it looks like. This is one of the peatland  
 5 areas in the north dominated by black spruce and  
 6 other -- and ericaceous shrubs, again, one of  
 7 these wetlands of special significance. This is  
 8 an emergent marsh taken in the spring during the  
 9 vernal pool survey so it hasn't greened up yet,  
 10 but one of those large areas. Here's a beaver  
 11 pond on the site, here's a separate, different  
 12 beaver pond. Again, just a diverse mix of  
 13 species -- or of habitats, excuse me, on the site.  
 14 This is one of the forested wetlands and this  
 15 actually was another vernal pool, not a  
 16 significant vernal pool, but this whole area  
 17 provided some breeding habitat for some species,  
 18 and then we had -- again, here's a couple examples  
 19 of the vernal pool -- significant vernal pools  
 20 that we had. Here's one of a significant vernal  
 21 pool and here's the next.  
 22 So, again, just to provide a little bit  
 23 more information on the preservation area, we  
 24 performed those vernal pool surveys in 2015,  
 25 identified 25 functioning vernal pools, three

1 significant vernal pools. We had an additional  
 2 eight more pools that were what we termed high  
 3 functioning, and these are -- these are pools that  
 4 meet the DEP's thresholds for egg masses. They --  
 5 you know, maybe they had 40 or more wood frog egg  
 6 masses in them but they were -- they were manmade  
 7 so they didn't meet that DEP definition of a  
 8 naturally-occurring feature but they were still  
 9 providing a lot of habitat. These egg mass counts  
 10 in the preservation area were significantly higher  
 11 than in the expansion area. This is a table  
 12 provided both in the compensation plan and in  
 13 Exhibit #41 which shows that the size of the  
 14 expansion area is 74 acres and we had, you know,  
 15 four wood frogs, 71 spotted salamanders, whereas  
 16 in the 266-acre preservation area we had close to  
 17 900 spotted salamanders, plus we also had blue  
 18 spotted salamanders present in the preservation  
 19 area as well, which, you know, is just providing  
 20 more diverse species mix within that preservation  
 21 area.  
 22 And to sum up a bit on the preservation  
 23 site, as I said, it surrounds 16 acres of land  
 24 that's already been preserved which adds on to  
 25 that 266 to make a total of about 282 acres in

1 total area. It contains approximately 209 acres  
 2 of developable uplands that could be -- you know,  
 3 that will be protected from any future development  
 4 or landfill expansion or timber harvesting.  
 5 That's one of the criteria for preservation sites  
 6 is not just to protect wetlands but to also  
 7 protect upland buffers around those wetlands that  
 8 could be developed. As I said, it exceeds DEP and  
 9 Corps requirements.  
 10 The preservation will be protected by a  
 11 deed restriction and the City of Old Town -- we've  
 12 reached an agreement with the City of Old Town.  
 13 They will be acting as the third-party  
 14 administrator to that deed restriction. The  
 15 language of that deed restriction has been  
 16 reviewed by DEP and reviewed by the Corps and  
 17 approved by both agencies and the City of Old Town  
 18 City Council voted to act as the administrator of  
 19 that deed restriction, providing third-party  
 20 oversight of this area to make sure there aren't  
 21 any problems that come about or disturbances to  
 22 the land in the long run, and we did -- as I said,  
 23 we discussed this process along the way. We met  
 24 with DEP early in the process, we met with the  
 25 Corps and we've received preliminary conceptual

1 approval at least on this plan prior to submitting  
 2 the application.  
 3 So finally I'll address some topics on  
 4 Atlantic salmon that came up -- which will be in  
 5 response to the testimony submitted by Mr. Coghlan  
 6 and Mr. Spencer. First and foremost, I think it's  
 7 worth pointing out that the application has been  
 8 sent to review by the Department of Marine  
 9 Resources and the Department of Inland Fisheries  
 10 and Wildlife and the DEP staff forwarded e-mails  
 11 on to us from the review from Oliver Cox who is  
 12 the director of Sea-Run Fisheries and Habitat with  
 13 the Department of Marine Resources, and his  
 14 statement was that none of the streams in the  
 15 project area are Atlantic salmon streams; and  
 16 additionally, John Perry from the Department of  
 17 Inland Fisheries and Wildlife reviewed the  
 18 application in October of 2015 and stated fishery  
 19 staff do not anticipate any adverse impacts on  
 20 fisheries resources associated with this landfill  
 21 expansion. So this is part of the review process.  
 22 Both DMR and IF&W have had a chance to comment on  
 23 the application and have provided these comments  
 24 in support of no impacts to fisheries.  
 25 These -- these comments are consistent

1 with comments that we received along the way early  
 2 in the process as we consulted and sent letters to  
 3 the agencies requesting information. We received  
 4 similar responses that they didn't expect impacts  
 5 to these species, and while I feel that's --  
 6 that's good justification, we provide a little  
 7 more information here on why we think our design  
 8 won't affect Atlantic salmon is that we have no  
 9 direct impacts to rivers, streams or brooks on the  
 10 property, so we have no stream impacts and no  
 11 stream crossings. In fact, the nearest stream we  
 12 have to the site is an unmapped intermittent  
 13 stream which is about 850 feet to the east of the  
 14 site, and I'll show a figure that shows this. The  
 15 closest perennial stream is 950 feet southwest and  
 16 that's a tributary of Pushaw Stream and then the  
 17 closest stream we have -- and then the next  
 18 closest is 2,300 feet to Judkins Brook and that  
 19 Judkins Brook is located within mapped critical  
 20 habitat for Atlantic salmon but we are 2,350 feet  
 21 away. So we have these large undisturbed buffers  
 22 to these stream resources.  
 23 This figure shows the closest stream over  
 24 here to the east. This is 800 feet from the  
 25 landfill cell to the -- this is unmapped. It

1 doesn't show up on a USGS map but we identified it  
 2 through aerial photo interpretation in our field  
 3 surveys. Again, here's the 950 feet to the  
 4 closest perennial stream and here's 2,300 feet to  
 5 Judkins Brook and it's worth pointing out that  
 6 this area, again -- the whole area is the  
 7 preservation area that's going to be permanently  
 8 protected providing additional buffering to  
 9 this -- to Judkins Stream which is the stream  
 10 within Atlantic salmon habitat.  
 11 So we also did a review of literature to  
 12 sort of further this buffer idea and we found that  
 13 there was a paper by Castell that reviewed 35  
 14 additional scientific studies, so it was a  
 15 literature review, and in that it recommended a  
 16 minimum of 49 to 98 feet for stream buffers,  
 17 reviewed a paper by Wilkinson in 2006 that  
 18 concluded in Maine to provide temperature  
 19 protection for streams a 75-foot buffer is  
 20 recommended and these temperature changes -- which  
 21 is important for a cold water species such as  
 22 salmon. Also in Maine policy, IF&W has  
 23 recommended for this project hundred-foot buffers  
 24 from any streams and has recommended generally as  
 25 part of their practice hundred-foot buffers for

1 brook trout streams. The DEP when it considers  
 2 adjacency to stream resources considers a 75-foot  
 3 area and then the Corps of Engineers when you're  
 4 talking about compensation for impacts considers  
 5 an area of 100 feet of streams. So consistently  
 6 we see this 75 to 100 foot as a buffer width we'd  
 7 like to see from streams for stream protection and  
 8 fish protection and, again, we have a minimum of  
 9 800 feet to the nearest stream.  
 10 And finally, Atlantic and short-nosed  
 11 sturgeon, the closest known range of either  
 12 species is in the mainstem of the Penobscot River.  
 13 Again, I say we don't have any impacts -- direct  
 14 impacts to any rivers, streams or brooks on the  
 15 property. The nearest stream is 800 feet away.  
 16 Once you hit any of those streams, depending on  
 17 which path you go to those closest streams, it's  
 18 six and a half to eight and a half miles to the  
 19 Stillwater River, another six to eight miles then  
 20 down to the Penobscot mainstem.  
 21 So we have these large, undisturbed  
 22 buffers to the stream resources and then we also  
 23 have, you know, more than 12 miles of river miles  
 24 upstream from the known range of these species.  
 25 So we're comfortable and the application I think

1 is accurate in concluding that we think it is  
 2 extremely unlikely that there would be any impacts  
 3 to these species from the project.  
 4 So in summary, the natural resource  
 5 surveys have been completed on the project as  
 6 required by the DEP. We took the required steps  
 7 to avoid and minimize impacts to the maximum  
 8 extent practicable. Where we couldn't avoid those  
 9 impacts we developed a robust compensation plan to  
 10 compensate for those impacts that couldn't be  
 11 avoided. Thank you very much.  
 12 CHAIRMAN PARKER: Thank you, Bryan.  
 13 MR. DOYLE: Our final witness this morning  
 14 is Jeremy Labbe. Jeremy is a licensed  
 15 professional engineer in the State of Maine and a  
 16 certified manager of landfill operations with the  
 17 Solid Waste Association of North America. He is  
 18 the environmental manager for NEWSME landfill  
 19 operations, the operator of Juniper Ridge. Among  
 20 his responsibilities as environmental manager are  
 21 oversight of landfill design, compliance and  
 22 operations. Jeremy is a cum laude graduate of the  
 23 University of Maine with a degree in civil  
 24 engineering, and has completed his coursework for  
 25 a master's degree in geotechnical engineering from

1 the University of Maine. A copy of Jeremy's  
 2 resume is BGS/NEWSME Exhibit #42. Jeremy will be  
 3 discussing operational issues relating to the  
 4 expansion. Jeremy.  
 5 MR. LABBE: Thank you, Tom. Good morning.  
 6 I'm the last one so you're all still awake. It's  
 7 good to see.  
 8 So NEWSME operates the Juniper Ridge  
 9 Landfill which is owned by the Bureau of General  
 10 Services. We have operated this facility since  
 11 2004. In the past three years the facility has  
 12 accepted just over 600,000 tons per year,  
 13 accounting for more than 50 percent of the solid  
 14 waste disposal needs in the State of Maine.  
 15 Juniper Ridge accepts material from over 250 Maine  
 16 cities and towns across the entire State of Maine  
 17 from Fort Kent to Kittery. As of the end of 2015,  
 18 there were just over three million cubic yards of  
 19 capacity left at the facility and this is about  
 20 three and a half years of capacity using what  
 21 we've seen in the last three years as a waste  
 22 acceptance rate. So in order for us to not have a  
 23 disruption in Maine waste management disposal  
 24 capacity, we would need to construct the first  
 25 cell of the expansion in 2018 in order to be

1 operational in 2019.  
 2 The expansion waste footprint which you  
 3 had an opportunity to visualize during your site  
 4 visit is roughly 54 acres, 9.35 million cubic  
 5 yards of capacity. This is 14 acres smaller than  
 6 the current licensed capacity at the facility.  
 7 This expansion will last roughly 10 to 12 years at  
 8 a conservative -- reasonably conservative waste  
 9 acceptance rate of 700,000 tons per year, which is  
 10 more than what we have seen over the last three  
 11 years but it's important to note that historically  
 12 we have seen volume rates coming in to Juniper  
 13 Ridge at 700,000 tons per year actually up through  
 14 2011.  
 15 The expansion will be a continuance of our  
 16 current site operations and, therefore, the  
 17 operation of procedures and practices are  
 18 anticipated to be consistent with current  
 19 practice. Our staff endeavors every day to  
 20 operate Juniper Ridge in a clean, efficient,  
 21 environmentally sound and safe manner.  
 22 With regard to traffic, the expansion will  
 23 be accommodated by the existing roadway network.  
 24 Gorrill Palmer Consulting, who is here this  
 25 morning, completed an in-depth traffic assessment

1 to determine the level of future usage, if it  
 2 would be accommodated by the existing  
 3 transportation network. This study, which was  
 4 completed in 2014, determined that using the  
 5 anticipated waste acceptance rates of 700,000 tons  
 6 per year, which is what we anticipated for the  
 7 expansion, that the peak --  
 8 CHAIRMAN PARKER: Slow down a little bit.  
 9 MR. LABBE: Sorry, I'll slow down, yes.  
 10 That the peak truck trips per hour would increase  
 11 only three from 2014 operations. Now, it's also  
 12 important to note that 2014 operations we accepted  
 13 again just over 600,000 tons per year.  
 14 Historically we have seen rates of 700,000 tons  
 15 per year making the increase from those years  
 16 essentially zero.  
 17 Gorrill Palmer also evaluated primary  
 18 intersections and found both the current and  
 19 expected levels of service to be an A, which means  
 20 very good with little control delay.  
 21 Sight distance was also evaluated and  
 22 determined to be twice the required sight distance  
 23 of more than 1,000 feet.  
 24 Additionally, we have worked with the City  
 25 of Old Town to strategically place signs

1 encouraging truckers to utilize I-95 instead of  
 2 Route 16 as well as a written policy for truckers  
 3 to use I-95 instead of Route 16 in an effort to  
 4 keep trucks on the interstate system.  
 5 Lastly, early on in our operation we  
 6 implemented an overweight truck policy. This  
 7 program and policy includes monthly reports to the  
 8 state, the city and the Landfill Advisory  
 9 Committee as well as a policy to penalize truckers  
 10 in an effort to keep truckers traveling on our  
 11 public roadways safe. To date, this has been a  
 12 very effective policy.  
 13 With regard to noise, the expansion will  
 14 not create unreasonable levels of noise and will  
 15 comply with the standards. Epsilon Associates  
 16 completed a detailed sound level assessment for  
 17 the expansion modeling 11 locations around the  
 18 site and you can see those locations. They're  
 19 kind of hard to see but they're in blue and you  
 20 can see them around the various areas of the site.  
 21 Based on this detailed assessment, we will  
 22 selectively operate our equipment from 6 a.m. to 7  
 23 a.m. when we are within 60 feet of the western  
 24 solid waste boundary. Now, no selective equipment  
 25 operation will be necessary from the hours of 7

1 a.m. to 7 p.m., which are daytime hours, or when  
 2 we are further than 60 feet from that western  
 3 solid waste boundary.  
 4 Additionally, as a proactive measure, we  
 5 have installed something called white sound backup  
 6 alarms on our equipment. This replaces the  
 7 traditional beeping backup alarms which I'm sure  
 8 you guys can hear at any construction site,  
 9 unfortunately, you don't know where the beeping is  
 10 coming from, you just know it's beeping somewhere  
 11 around you. The white noise backup alarms are  
 12 directional, allowing operators to know where the  
 13 equipment is coming from and where it is going and  
 14 also they're localized so the sound doesn't travel  
 15 like a traditional beeping alarm. These have been  
 16 very successful, our guys like them and they seem  
 17 to be very, very safe because when you hear them  
 18 coming towards you, you know it's coming from this  
 19 direction or this direction and you know whether  
 20 it's going away from you or coming towards you.  
 21 With regard to air quality, the techniques  
 22 we use to collect and control landfill gas will be  
 23 consistent with current practice. In 2014 we  
 24 received an air emission license that regulates  
 25 emissions from both the existing facility and from

1 the expansion. This license determined that the  
 2 air emissions from the Juniper Ridge would, one,  
 3 receive best practical treatment; two, not violate  
 4 applicable emission standards; and three, not  
 5 violate applicable health protective ambient air  
 6 quality standards in conjunction with emissions  
 7 from other nearby sources.  
 8 Landfill gas extracted from the expansion  
 9 will be treated to remove hydrogen sulfide in  
 10 accordance with our air license through our  
 11 existing Thiopaq facility which you had an  
 12 opportunity to see during our site visit, and then  
 13 either combusted in a flare or beneficially  
 14 utilized.  
 15 In addition to meeting ambient air quality  
 16 standards, managing odors and sources of potential  
 17 odor are priorities at the Juniper Ridge Landfill.  
 18 We have a very detailed odor complaint response  
 19 plan to manage landfill-related odors and minimize  
 20 odor generation. Our plan includes a complaint  
 21 line which is available 24 hours a day, seven days  
 22 a week, and you can see our complaint record form  
 23 which is my Exhibit 67. That is filled out for  
 24 every complaint they receive at the facility.  
 25 We've been very successful to date in managing

1 odors but we continue to strive each day to  
 2 improve our practices and prevent offsite odor  
 3 from occurring at all.  
 4 We employ many practices to monitor for  
 5 odors, including but not limited to, daily surveys  
 6 around the active landfill areas and periodic  
 7 surveys around the residences. We also have  
 8 continuous hydrogen sulfide monitoring at multiple  
 9 locations both on and offsite.  
 10 Now, there are three main types of odors  
 11 associated with landfill operations, and before I  
 12 get into them, I wanted to point out the chart of  
 13 our year over year odor complaints and you can see  
 14 from 2005 over through current we've done a great  
 15 job of reducing the amount of odor complaints  
 16 through our odor control practices.  
 17 So the three main sources of odor  
 18 associated with our operations are, first,  
 19 waste-related odors from the incoming material;  
 20 the second are leachate-related odors, and as Mr.  
 21 Booth discussed earlier, leachate is that water  
 22 that comes in contact with the waste; and the  
 23 third is landfill gas related odors. Each of  
 24 these three has specific practices associated with  
 25 their minimization. First, with regard to waste

1 odors, we require trucks delivering material to  
 2 Juniper Ridge to have proper tarps which are kept  
 3 on until scaled into the facility. Once in the  
 4 facility during warm months when the weather  
 5 allows, trucks that contain odiferous materials  
 6 then proceed through --

7 CHAIRMAN PARKER: Excuse me, slow down a  
 8 little bit.

9 MR. LABBE: Okay -- through a deodorizing  
 10 spray system. After this, trucks unload their  
 11 material into the active waste placement area  
 12 which is confined to as small an area as possible.  
 13 Now, noticeably odiferous loads are combined with  
 14 ash or other material to neutralize their odor.  
 15 Empty trucks then repeat the process through a  
 16 spray station to minimize their odors traveling on  
 17 the public roadways. We want to be good neighbors  
 18 and we want to make sure even the empty trucks are  
 19 not containing odors as they're driving down the  
 20 roadways. We then also use alternative daily  
 21 cover materials which are very important for our  
 22 odor minimization on top of the active placement  
 23 area when we are done placing waste. We use  
 24 typically alternative daily cover materials in  
 25 lieu of soil which helps conserve virgin soil

1 Third, with regard to landfill gas, our  
 2 landfill gas collection and treatment system is  
 3 our first and most important piece. Our system  
 4 has been designed to adequately handle landfill  
 5 gas generation from this expansion and it is  
 6 extremely robust. We install our gas station, as  
 7 Mr. Booth spoke earlier, in each cell as the cell  
 8 is being filled. We utilize both horizontal-type  
 9 gas collectors and final vertical gas collectors  
 10 once we have reached final waste grade. This  
 11 two-fold approach allows for early and continuous  
 12 gas collection. We monitor each collector.  
 13 There's 160 roughly that are currently monitored  
 14 in our program and we can individually adjust each  
 15 of these collectors based on their generation  
 16 rates, what we see for methane at those locations,  
 17 the gas flows, the temperatures and other measured  
 18 parameters. Now, our gas well field is also  
 19 subject to EPA's new source performance standards  
 20 which are very stringent standards for monitoring  
 21 and recordkeeping and they require follow-up  
 22 monitoring for certain wells and minimum monthly  
 23 required monitoring at all the locations that are  
 24 active.

25 Our treatment and conveyance system

1 products. We use materials such as construction  
 2 and demolition debris, wood fines, incinerator  
 3 ashes, contaminated soils or other materials that  
 4 may become available to us.

5 Additionally we use deodorizing spray  
 6 systems around the landfill site which you had an  
 7 opportunity to see during your site visit as well  
 8 as direct application on the active waste face  
 9 which you also had an opportunity to see during  
 10 your site visit.

11 Second, with regard to leachate related  
 12 odors, we utilize a closed system with an  
 13 above-ground tank and secure tankers to transport  
 14 the leachate to an approved treatment facility.  
 15 We also constantly monitor these operations to  
 16 assure that they are operating properly,  
 17 minimizing the potential for odor generation and  
 18 as mentioned earlier, we have a constant  
 19 monitoring system that's actually a fiberoptic  
 20 network around the entire landfill that allows us  
 21 to monitor each pump station, allows us to monitor  
 22 the tank, allows us to monitor how things are  
 23 running, turn things on or off, and actually  
 24 troubleshoot them even remotely. I can do it from  
 25 this very room if I wanted to.

1 contains realtime monitoring, the same as with our  
 2 leachate system, for many parameters which  
 3 includes vacuum to assure that we are collecting  
 4 continuously from the landfill. Should an issue  
 5 arise, our staff are automatically notified 24  
 6 hours a day. Additionally, our staff are trained  
 7 and certified to install this very infrastructure  
 8 meaning that we can respond quickly to any needs  
 9 that happen. Now, once the gas is effectively  
 10 treated in our Thiopaq system, it's collected from  
 11 the landfill and treated in our gas treatment  
 12 system to remove that hydrogen sulfide. We  
 13 currently combust it in a flare destroying the  
 14 odor-causing compounds all in accordance with our  
 15 air license.

16 A second measure that is very important to  
 17 odor control of gas is our cover system and  
 18 specifically our intermediate cover system. We  
 19 cover our side slopes with synthetic intermediate  
 20 cover material which is kind of like putting a  
 21 giant Ziploc bag over the waste and you guys had a  
 22 chance to visualize that during your site visit.  
 23 This is a very effective cover when compared to  
 24 traditional soil which can crack and is subject to  
 25 weathering and erosion. The plastic is very, very

1 effective. On top of both of these, we also  
 2 complete regular monitoring at the landfill  
 3 surface for multiple parameters, including methane  
 4 and hydrogen sulfide.

5 Lastly, as a proactive measure, we have  
 6 installed realtime monitoring of hydrogen sulfide  
 7 at multiple locations both onsite and offsite as I  
 8 discussed prior. These monitors operate around  
 9 the clock and the data is recorded. The system  
 10 also alarms and notifies our staff should a high  
 11 level, which is above 15 parts per billion, arise  
 12 at any of these monitors. As a further proactive  
 13 measure during this expansion process we have  
 14 worked cooperatively with the City of Old Town to  
 15 improve our monitoring. We have put in place  
 16 notification procedures for the city should a high  
 17 level of hydrogen sulfide be detected at any of  
 18 the four offsite monitors we have. Additionally,  
 19 should we receive an odor complaint, we will also  
 20 identify the hydrogen sulfide measurement at the  
 21 nearest offsite monitor at the time we receive the  
 22 complaint. This will all be indicated in the  
 23 monthly reports sent to the state, the city and  
 24 the Landfill Advisory Committee.

25 Lastly, the realtime data, the data from

1 of one of our profile forms that's required to be  
 2 filled out. It's the first step in the process of  
 3 a generator of special wastes.

4 Now, once a waste is determined to meet  
 5 the standards set forth in this program, our waste  
 6 inspection process is then triggered. Our staff  
 7 are extremely competent and diligent in making  
 8 sure material is properly identified,  
 9 characterized and labeled. Our waste inspection  
 10 is critical not only to environmental protection  
 11 but also to their safety. When a material arrived  
 12 at the Juniper Ridge scale house, operators can  
 13 inspect transportation documents and paperwork as  
 14 well as question drivers, if necessary, to assure  
 15 proper documentation and identification. Those  
 16 operators can also inspect the load visually if  
 17 they have any concerns. Once the waste passes the  
 18 scales, the operators observe the waste offloading  
 19 from the trucks to assure the material accepted at  
 20 the facility is properly identified and they're in  
 21 constant communication with the scales between the  
 22 operators and scales to make sure things are going  
 23 in accordance with what they're supposed to.

24 Our staff are also trained regularly on  
 25 unacceptable and acceptable materials, what to

1 each of those offsite monitors, will be provided  
 2 to the City for their evaluation should they want  
 3 to in addition to what we do currently for an  
 4 annual review and what the DEP does for a review.

5 I'll now transition to the waste that we  
 6 accept. We are a licensed nonhazardous waste  
 7 disposal facility that can take only in-state  
 8 waste. Our proposed future waste streams are  
 9 consistent with what we currently accept  
 10 demonstrating that the wastes will be compatible  
 11 with each other, with our liner system and with  
 12 our gas system. We primarily receive construction  
 13 and demolition debris, front end process residue,  
 14 incinerator ash, construction and demolition  
 15 debris, processing fines, oversize bulky wastes,  
 16 wastewater treatment plant sludges, municipal  
 17 solid wastes, contaminated soils and other special  
 18 wastes. We are permitted to receive various types  
 19 of special wastes, some of which I just mentioned.  
 20 These special wastes go through a detailed  
 21 approval process called a special waste  
 22 characterization program to assure that they are,  
 23 first, nonhazardous and they also meet the EPA,  
 24 the DEP and site specific permit requirements, and  
 25 you can see on the projector here the first page

1 look for and what to watch out for. Any load  
 2 identified as containing a potentially  
 3 unacceptable material is immediately notified to  
 4 the supervisor at the site, myself, as well as the  
 5 general manager. If any unacceptable materials  
 6 are identified, they are the responsibility of the  
 7 generator for proper and safe removal, handling,  
 8 transportation and disposal at an approved  
 9 facility for that material.

10 Our system operates with very detailed  
 11 reporting as well as Mr. Barden spoke earlier, in  
 12 fact, we maintain a manifest for each and every  
 13 load that comes across the scales at the facility  
 14 and that's got to be maintained for a minimum of  
 15 30 years post closure, so we have to maintain  
 16 those in a large file room, and on top of those  
 17 individual manifests -- and you can see a picture  
 18 here, it's Exhibit 47, it's hard to see here -- we  
 19 supply a monthly report, as Mr. Barden also spoke  
 20 of, to the city, the state and the local Advisory  
 21 Committee showing each and every load of material,  
 22 what the material was, who generated that  
 23 material, how much material was actually in that  
 24 load and other details, and that's supplied every  
 25 single month to the state, the city and the



1 Advisory Committee.

2 So in conclusion, we have successfully  
3 operated Juniper Ridge since 2004 and plan to  
4 continue this operation with consistent practices  
5 during the expansion. Our staff is extremely  
6 qualified and endeavors every day to operate in a  
7 clean, efficient, safe and environmentally sound  
8 manner. Our waste acceptance rates are estimated  
9 to be similar to existing waste acceptance rates,  
10 the expansion traffic will be adequately  
11 accommodated by the existing roadway network, the  
12 expansion will not create unreasonable levels of  
13 noise and will comply with the standards. Our  
14 current air license will accommodate the air  
15 emissions from the expansion and our  
16 infrastructure and systems are designed and  
17 operated to minimize odor during the expansion.  
18 Our waste acceptance process is accurate and  
19 robust and our oversight and reporting is  
20 detailed. Thank you.

21 CHAIRMAN PARKER: Thank you.

22 MR. DOYLE: Thank you, Jeremy. Mr.  
23 Chairman, that completes our direct presentation.  
24 We're a little ahead of schedule.

25 CHAIRMAN PARKER: Appreciate it and we'll

1 head for a lunch break now and we'll resume at  
2 1:00 for cross examination.

3 MR. DOYLE: Very good.

4 **(LUNCH RECESS)**

5 CHAIRMAN PARKER: We'll call the hearing  
6 back to order. The first order of business now  
7 will be cross examination of the BGS/NEWSME panel  
8 and the first person scheduled for cross  
9 examination is Mr. Spencer. Just please everybody  
10 remember to speak slow enough because she's going  
11 to get tired and we want her to stay with us  
12 today.

13 MR. SPENCER: Is this thing working? Can  
14 you hear me?

15 MS. BERTOCCI: Yes.

16 MR. SPENCER: My name is Ed Spencer. I'll  
17 start with Michael Barden, Mr. Barden. What I'd  
18 like to do is for Mr. Barden all these questions  
19 will be based on quotes in his testimony. So if I  
20 could, I'll -- I'll say the quote first and then  
21 ask a question, if that's acceptable. Okay, here  
22 we go, let's try it. Okay, on page 2, quote,  
23 out-of-state wastes are defined as excluded wastes  
24 and disposal at JRL is prohibited. The term of  
25 the Operating Services Agreement is 30 years, end

1 quote. My question, is this 30-year contract  
2 dependent on Casella obtaining enough license  
3 capacity to last that long?

4 MR. BARDEN: No.

5 MR. SPENCER: In your opinion, what  
6 happens if their expansion application is turned  
7 down?

8 MR. BARDEN: Well, the contract would  
9 still be in place, it's a 30-year contract, so  
10 they would still be responsible for closure and  
11 post-closure care. So it would run out of  
12 capacity and post-closure closure care runs for 30  
13 years.

14 CHAIRMAN PARKER: Hold the microphone up  
15 so we can hear you.

16 MR. SPENCER: Okay, page 2, quote, I  
17 provide the monthly activity reports to the JRL  
18 Advisory Committee members, the City of Old Town  
19 and Town of Alton and post these reports to the  
20 DECD state-owned landfill web page, end quote. Do  
21 you know who set up this system and format for  
22 these reports, someone at the state or is this the  
23 waste company's group of categories and way of  
24 reporting it?

25 MR. BARDEN: Those monthly reports were

1 set up before I assumed this position in 2012 so I  
2 can't answer that.

3 MR. SPENCER: Okay, page 3, quote, I  
4 regularly review and consider all this information  
5 and believe NEWSME to be in compliance with its  
6 obligations under the OSA and its licenses, end  
7 quote. Do you believe that NEWSME is in full  
8 compliance with the terms and conditions of the  
9 public benefit determination for this expansion?

10 MR. BARDEN: The public benefit  
11 determination was issued before I came into this  
12 position so I don't know if I can answer that  
13 directly.

14 MR. SPENCER: Okay. The PBD recommended  
15 in 2012 that the state and Casella amend the terms  
16 of the OSA to consider changes in construction and  
17 demolition debris waste streams, et cetera. Has  
18 this happened?

19 MR. BARDEN: Not since the programs were  
20 transferred over to the Bureau of General  
21 Services, so I can't tell you what happened with  
22 SPO before that.

23 MR. SPENCER: So are you working on that  
24 at all?

25 MR. BARDEN: No, I think Ms. King has some

1 information in her rebuttal where she addressed  
2 that. I can't speculate why the commissioner put  
3 that in the license.

4 MR. SPENCER: Okay. The Operating  
5 Services Agreement says, quote, the state shall  
6 control the landfill, end quote. In your opinion,  
7 does the state control the landfill?

8 MR. BARDEN: I'm not aware of that being  
9 in the Operating Services Agreement so you'd have  
10 to point out the exact page where that is.

11 MR. SPENCER: Okay.

12 MR. BARDEN: Section 2 of the OSA provided  
13 exclusive use and operations of the landfill to  
14 Casella so I'm not sure where that language that  
15 you just quoted is.

16 MR. SPENCER: Okay. Can you think of an  
17 example where Casella came to the state as owner  
18 and asked for something that was rejected by the  
19 state?

20 MR. BARDEN: "Came to the state as owner?"  
21 They're not the owner. They're the operator.

22 MR. SPENCER: The state is owner.

23 MR. BARDEN: What was your question?

24 MR. SPENCER: My question was, can you  
25 think of an example where Casella came to the

1 of -- so payment in lieu of taxes goes to the town  
2 but I'm talking about payments to abutters or the  
3 surrounding --

4 MR. BARDEN: No, it doesn't include that.

5 MR. SPENCER: It does not, okay. Okay, on  
6 page 4, you talk about additional state landfill  
7 capacity being necessary in the next two years to  
8 avoid disruption of the waste deliveries to JRL  
9 and also mention that the Norridgewock commercial  
10 landfill does not have capacity for these wastes  
11 after 2021. Do you have a plan or ever considered  
12 prioritizing certain wastes over others?

13 MR. BARDEN: Well, the state doesn't have  
14 a specific plan, no. We have two other licensed  
15 facilities, neither of which could accept this  
16 waste.

17 MR. SPENCER: Okay. So in other words,  
18 for example, would the front-end process residue  
19 and ash from PERC be given priority over CDD from  
20 processing facilities?

21 MR. BARDEN: We haven't gotten to that  
22 point of discussions.

23 MR. SPENCER: Okay. Were -- were there  
24 some -- you may not know this -- were there some  
25 guaranteed tonnages for the Old Town Paper Mill or

1 state; in other words, BGS, the state as owner,  
2 and asked for something that was rejected by the  
3 state; in other words, have they ever come and  
4 asked for something that you or anybody else in  
5 the state that you know of turned them down?

6 MR. BARDEN: Not since I came into this  
7 position in 2012, so nothing has happened since  
8 2012.

9 MR. SPENCER: Page 3, quote, during the  
10 period from 2005 through June 2016, Old Town and  
11 Alton have received payments from Casella totaling  
12 12.9 million dollars and \$959,000 respectively,  
13 end quote. Is this tip fees and annual impact  
14 payments -- payments in lieu of taxes only or does  
15 it include the amounts that Casella gives to some  
16 of the surrounding residents to compensate for  
17 their taxes?

18 MR. BARDEN: I believe that would just be  
19 for the amount that's given to Old Town directly  
20 and it doesn't include -- it probably does include  
21 payment in lieu of taxes.

22 MR. SPENCER: Are you saying it does not  
23 include?

24 MR. BARDEN: I think it does, yes.

25 MR. SPENCER: Include payment in lieu

1 maybe that's a moot point now that they're  
2 defunct?

3 MR. BARDEN: Yeah, the OSA did have a  
4 guaranteed tonnage that Casella had to provide for  
5 capacity for the Old Town mill, correct.

6 MR. SPENCER: Well, I think that's it from  
7 me for Mr. Barden.

8 CHAIRMAN PARKER: Okay, thank you. Next  
9 will be the City of Old Town, Mr. Katsiaficas.

10 MR. KATSIAFICAS: Mr. Chair, Members of  
11 the Board, the City has no questions for these  
12 witnesses.

13 CHAIRMAN PARKER: Okay. Next would be Mr.  
14 Snowman.

15 MR. SNOWMAN: Just one question. I was  
16 going to ask -- I was going to ask Mr. Barden, are  
17 you aware of any widespread confusion among the  
18 citizens of Maine regarding the definition of  
19 out-of-state garbage? Is that something that has  
20 -- that you -- that you're aware of and consulted  
21 others in your department or other people in the  
22 -- you know what I'm saying.

23 MR. BARDEN: Well, the statute -- the  
24 statute is what it is.

25 MR. SNOWMAN: Are you aware of any

1 widespread confusion amongst people, regular  
 2 citizens, who might want to try to find out what's  
 3 going on there?  
 4 MR. BARDEN: Nobody has contacted me  
 5 directly about that, no.  
 6 MR. SNOWMAN: Nobody has, and I guess also  
 7 you -- you -- that definition of out-of-state  
 8 garbage that you guys use, do you find that -- do  
 9 you find that honest?  
 10 MR. BARDEN: That's the statute.  
 11 MR. SNOWMAN: Well, I mean, it's the  
 12 statute, right, but I guess it -- I guess that's  
 13 about it for right now.  
 14 CHAIRMAN PARKER: Mr. Laite, do you have  
 15 any questions?  
 16 MR. LAITE: Yes, Chair Parker, thank you,  
 17 Members of the Board. Mr. Barden, a little  
 18 confusion among the questions I heard. How much  
 19 has been paid in solid waste fees to the State of  
 20 Maine since Juniper Ridge has been operating?  
 21 MR. BARDEN: That's, again, one of the  
 22 components of the monthly reports that I get from  
 23 Casella. They've paid approximately nine million  
 24 dollars in fees to the state for disposal there,  
 25 primarily for special wastes and construction and

1 demolition debris.  
 2 MR. LAITE: Now, are there any estimates  
 3 on how much will be paid through this expansion?  
 4 MR. BARDEN: Well, again, it's going to be  
 5 dependent on what the -- what the tonnage is of  
 6 the special waste and the construction and  
 7 demolition debris because that's what the state  
 8 collects special waste fees for.  
 9 MR. LAITE: Okay, thank you.  
 10 MR. BARDEN: So I would assume that it  
 11 would probably be very similar to what the  
 12 existing generation is.  
 13 MR. LAITE: Thank you.  
 14 CHAIRMAN PARKER: Okay, next we have  
 15 questions from the Board members or do you want to  
 16 have staff ask questions first? What do you  
 17 prefer? Board? Feel free.  
 18 MR. AHLERS: This question is directed to  
 19 Ms. King, and recognizing the fact that MSW is  
 20 imported from out of state and perhaps the other  
 21 materials, oil spill contaminated soil, oversize  
 22 bulky waste and construction and demolition  
 23 debris, how does Casella control the fact that  
 24 that material does not reach Juniper Ridge  
 25 Landfill?

1 MS. KING: I --  
 2 MR. DOYLE: Do you understand the  
 3 question?  
 4 MS. KING: I don't understand the  
 5 question. You started with an out-of-state waste  
 6 component and then you lost me.  
 7 MR. AHLERS: Well, there was a discussion  
 8 about bypass material coming into Juniper Ridge  
 9 Landfill which I'm assuming is municipal solid  
 10 waste and there was some discussion about  
 11 construction and demolition debris coming from  
 12 another facility and -- and much of this -- some  
 13 of this material is from out of state. How does  
 14 Casella prevent that from being disposed of at  
 15 Juniper Ridge Landfill because apparently it's not  
 16 in-state waste?  
 17 MS. KING: Juniper's landfill does not  
 18 accept any out-of-state waste. It only accepts  
 19 in-state waste. MSW bypass is a requirement of  
 20 each Maine incinerator to have a location  
 21 specified for landfilling of their MSW bypass in  
 22 case they're on an outage or receive too much  
 23 material to be able to process and incinerate.  
 24 Construction and demolition debris, straight C&D  
 25 debris that we landfill at Juniper Ridge comes

1 from contractors typically and transfer stations  
 2 in Maine only, Maine state waste only. We do take  
 3 the residuals from construction and demolition  
 4 debris processing facilities and there's a portion  
 5 of that material that's gone to the processing  
 6 facilities themselves before they recycle the  
 7 material that may or may not be from out of Maine,  
 8 but the definition of Maine state waste includes  
 9 residuals from processing facilities.  
 10 MR. AHLERS: Regardless of whether it's  
 11 in-state or out-of-state material?  
 12 MS. KING: After it's been processed, the  
 13 residuals are considered in-state waste.  
 14 MR. AHLERS: And for municipal solid  
 15 waste, you rely on your suppliers to provide you a  
 16 guarantee that that's not out-of-state waste, if  
 17 it's bypass?  
 18 MS. KING: We take bypass waste from  
 19 incinerators but we do not take any out-of-state  
 20 MSW.  
 21 MR. AHLERS: Well, bypass could be  
 22 out-of-state waste?  
 23 MS. KING: It's not. We don't accept  
 24 out-of-state bypass waste.  
 25 MR. AHLERS: And that's guaranteed by your

1 supplier?

2 MS. KING: Exactly. It's guaranteed by  
3 the generators of the waste.

4 MR. AHLERS: All right, that's what I was  
5 driving at.

6 MS. KING: I'm sorry, I didn't -- I didn't  
7 understand the question.

8 MR. AHLERS: Thank you.

9 CHAIRMAN PARKER: Tom?

10 MR. DOBBINS: Can I get on here a minute?

11 CHAIRMAN PARKER: Well, I said Tom but I  
12 meant this Tom. Wrong Tom. Sorry, Tom.

13 MR. EASTLER: Okay, you go ahead down  
14 there. My hearing is not too good. I'll turn  
15 this off until you're ready for me.

16 MR. DOBBINS: Just a question for Ms.  
17 King. The table you had on Table 5.1 listed the  
18 percentages of categories that you believe will be  
19 coming in on the expansion. Does that equal to  
20 what is the same numbers of what you're seeing  
21 now, has been the history of what's gone on?

22 MS. KING: Let me just find our Table 5.1  
23 here before I respond to that. So this was based  
24 on -- remember that we have historically done  
25 700,000 tons per year annual intake. We're

1 currently hovering just north of 600,000 tons per  
2 year.

3 MR. DOBBINS: I'm not concerned about the  
4 total tonnage. I'm concerned about the  
5 percentages.

6 MS. KING: So -- so the percentages of the  
7 material category that you see are based on what  
8 we're seeing currently and extrapolated to that  
9 700,000 limit, yes.

10 MR. DOBBINS: Okay, and the second  
11 question I had is do you have any recourse -- does  
12 the state allow you any recourse if you feel that  
13 a contractor or a supplier is not meeting the best  
14 practical recycling; so in other words, if you're  
15 seeing XYZ disposer just constantly bringing in  
16 material that you feel could be recycled, do you  
17 have recourse?

18 MS. KING: I believe so. We could -- we  
19 could request a different practice and we could  
20 actually I think prohibit that material from  
21 coming to the landfill again.

22 MR. DOBBINS: Yeah, that's what I was  
23 wondering, if you could actually stop it, to force  
24 them to recycle more.

25 MS. KING: Yeah.

1 MR. DOBBINS: Because it seems to be put  
2 on them all the time and I didn't know whether you  
3 had any recourse at all.

4 MS. KING: It is, right. So as the rules  
5 are currently written, we only have control over  
6 the facilities that we have control over. So it  
7 -- that's a difficult to manage one but  
8 absolutely, if we saw recyclable commodities  
9 coming in from a load time after time, we would  
10 sit down and speak with the generator and  
11 potentially ban that material from the landfill.

12 MR. DOBBINS: So you have that authority?

13 MS. KING: We have that ability, yes.

14 MR. DOBBINS: Thank you.

15 CHAIRMAN PARKER: We'll go for another  
16 Tom.

17 MR. EASTLER: Okay, yeah, I have a comment  
18 for Jeremy and Brian and Tom and everybody else in  
19 that group and to the DEP members, because this is  
20 something that's bothered me for a long period of  
21 time but really have not had much of a chance to  
22 talk about it. I loved the discussion on noise,  
23 but I'm more interested in metrics. There is no  
24 metric that measures noise. It measures sound  
25 pressure. The term noise is an inappropriate term

1 for us to be asking somebody to talk about and for  
2 others to talk about it because what we're  
3 concerned with is sound pressure. It is a metric.

4 There are machines that allow you to determine  
5 what the level of sound is because noise is  
6 defined as unwanted sound. Those who do not want  
7 to hear any of it, it's noise. Those who love to  
8 listen to it, whatever it might be, it's -- it's  
9 good sound pressure. So I thought I'd throw that  
10 metric and then the other metric I wanted to ask  
11 about was with regard to odor. It's easy enough  
12 with regard to measuring, say, hydrogen sulfide or  
13 other issues like that, but the truck that goes by  
14 that wasn't cleaned appropriately and it smells  
15 and somebody goes out in the road and smells it or  
16 maybe someone knows about the presence of a meter  
17 to measure what gases are going, but is there a  
18 mobile metric?

19 CHAIRMAN PARKER: Tom?

20 MR. EASTLER: Yeah?

21 CHAIRMAN PARKER: Excuse me, but that's in  
22 the next panel.

23 MR. EASTLER: Well, then I don't have to  
24 say it again, do I? Sorry about that.

25 CHAIRMAN PARKER: We don't have the

1 appropriate people at this panel.  
 2 MR. EASTLER: Just hopefully we'll change  
 3 it because it -- anyway, that's all I wanted to  
 4 do. I don't expect an answer to that but hope you  
 5 keep it in mind.

6 CHAIRMAN PARKER: Does anyone have a  
 7 question? Kathy?

8 MS. CHASE: I have a question. This is  
 9 for Toni, Ms. King. You had mentioned in your  
 10 testimony that 90 percent followed the process  
 11 that was in the landfill, followed down through  
 12 your list of reduce, recycle and all that. What's  
 13 the other 10 percent, could you clarify?

14 MS. KING: So the other 10 percent is  
 15 typically municipal and industrial wastewater  
 16 treatment plant sludges that have a potential to  
 17 be recycled and beneficially reused, a high  
 18 potential. So a low potential for landfilling as  
 19 far as the Maine Materials Management Strategies  
 20 go, we do take in a good deal of municipal  
 21 wastewater treatment plant sludge for landfill --

22 MS. CHASE: Even though they can reduce  
 23 it? I don't mean to interrupt you but they could  
 24 reduce it? It could be reduced?

25 MS. KING: It can't really be reduced so

1 it's the sludge mostly after -- after the  
 2 wastewater treatment plant process. So it's the  
 3 solids that fall out after that treatment process,  
 4 can't really be reduced much more unless you take  
 5 the liquid portion out of it but it can be --  
 6 sometimes it can be composted. It can be land  
 7 applied. So it can be recycled or beneficially  
 8 reused. The problem is that there are limited  
 9 land application sites in Maine that are  
 10 permitted. There are regulatory requirements that  
 11 restrict some of the industrial wastewater  
 12 treatment plants from being land applied and our  
 13 composting facility in Unity, the Hawk Ridge  
 14 Compost Facility is operating at a maximum annual  
 15 input now. They can't take anymore. So the  
 16 remainder is -- is landfilled.

17 MS. CHASE: Okay, thank you.

18 CHAIRMAN PARKER: I've got a couple  
 19 questions. I'll start with Ms. King. You said  
 20 that the mix for the waste in the future is going  
 21 to be very similar to what it is right now and  
 22 there's -- in the mix you've shown for the 600 or  
 23 700,000 tons you're getting now shows a definite  
 24 component of MSW coming into that facility and  
 25 based on that, and I want to make sure that I've

1 read your chart right, now I want to look to Mr.  
 2 Barden and what is the state doing to prevent MSW  
 3 from going to the landfill when it's not  
 4 consistent with the hierarchy of the state; it's a  
 5 convenient bypass, not necessarily one that should  
 6 be maybe allowed. As that component of the waste  
 7 takes space in the landfill, what's being done or  
 8 what does the state anticipate doing as we move  
 9 ahead to minimize the amount of MSW going into the  
 10 landfill?

11 MR. BARDEN: You mean in terms of -- the  
 12 only MSW that's going to be going into the  
 13 expansion is bypass. So are you getting at the  
 14 incinerator part of it?

15 CHAIRMAN PARKER: Well, in looking at  
 16 bypass, I know in the last couple years there's  
 17 been bypass from the southern Maine incinerator  
 18 because they closed it down.

19 MR. BARDEN: But that waste -- that MSW is  
 20 not coming into the expansion.

21 CHAIRMAN PARKER: Okay? Now, I'm not  
 22 sure -- I'm not sure if MSW is coming from other  
 23 facilities which have the volume reduction  
 24 capability. That's the question I'm asking  
 25 because it looks to me like there's an inherent

1 amount of MSW that's going into the landfill, and  
 2 if we continue that, we're using up space when we  
 3 should be doing something else to reduce that  
 4 volume.

5 MR. BARDEN: Well, recall when the -- when  
 6 the landfill got the MSW amendment a couple years  
 7 ago, it was for like 83,000 tons, something like  
 8 that, and that was the result of the Biddeford  
 9 incinerator closing, but the expansion application  
 10 is not proposing to take any of that waste, the  
 11 MSW that went to that incinerator. So the only  
 12 MSW that's coming into this expansion is bypass  
 13 properly from the PERC incinerator in Orrington or  
 14 Auburn. I don't think it would come from EcoMaine  
 15 but those are the only incinerators that are still  
 16 operating and I think Mr. Booth pointed out that  
 17 that total amount of MSW bypass is going to be  
 18 less than five percent of the total tonnage on an  
 19 annual basis.

20 CHAIRMAN PARKER: Now back to Ms. King, is  
 21 that reflected in your proposed numbers?

22 MS. KING: Yes.

23 CHAIRMAN PARKER: It is?

24 MS. KING: Yes.

25 CHAIRMAN PARKER: Okay, I want to make

1 sure. I've got another question for Mr. Barden.  
 2 You talk about this being revenue neutral from the  
 3 state's point of view; in other words, the state  
 4 is not trying to make money, they're trying to  
 5 cover their costs and they're trying to break  
 6 even, which I've got no issues with that, but  
 7 something we've talked about here this morning is  
 8 the potential of long-term contamination occurring  
 9 at the landfill and the engineers presented an  
 10 excellent way of how it can be dealt with, how it  
 11 can be treated, but 30 years from now your  
 12 operator is gone, no longer under contract. Is  
 13 the state doing anything to build a reserve or try  
 14 to build a reserve so that if they have no  
 15 operator under contract and it occurs, that the  
 16 state can deal with that? I can understand being  
 17 revenue neutral but sometimes it pays to be a  
 18 little revenue positive and have some cash on  
 19 hand.

20 MR. BARDEN: Yeah, that's a good question.  
 21 I mean, the state certainly hasn't taken -- that  
 22 I'm aware of we haven't requested the Legislature  
 23 put away a general fund allotment as an insurance  
 24 policy. I mean, Casella, as part of the contract,  
 25 they have an insurance policy of several million

1 dollars and they're going to be responsible for a  
 2 30-year closure period -- post-closure period. So  
 3 they will be -- they will be liable for any  
 4 offsite contamination that may happen at that  
 5 site.

6 CHAIRMAN PARKER: So under the contract,  
 7 they have a 30-year operation contract but then  
 8 they have a 30-year insurance contract beyond  
 9 that?

10 MR. BARDEN: Correct, correct.

11 CHAIRMAN PARKER: Okay. It makes a big  
 12 difference in how I look at it, okay, because 30  
 13 years is -- well, you're halfway through 30 years  
 14 already. It goes quick. Let's see if I have  
 15 anything else here. Now, getting back on the  
 16 construction and demolition debris, and I guess  
 17 this is sort of a joint question for you two  
 18 again. A lot of construction and demolition  
 19 debris I guess that was brought in from wherever  
 20 it was brought from, in-state, out-of-state or  
 21 whatever, was geared towards the facility is going  
 22 to recycle and process most of that. Is that  
 23 material still being processed? I know one of the  
 24 mills that used to burn it is no longer in  
 25 business so they're not taking any. Is that stuff

1 still being separated and processed and used or is  
 2 it being processed and diverted to the landfill?  
 3 Is there still an outlet for that construction and  
 4 demolition debris?

5 MS. KING: So the majority of the  
 6 construction and demolition debris recycling  
 7 that's taking place currently in Maine is done by  
 8 two different facilities, the ReEnergy Lewiston  
 9 facility and the ARC facility in Eliot, and they  
 10 do indeed pull recyclable materials out of the  
 11 construction and demolition stream and they create  
 12 a wood fuel chip and send it to boilers who will  
 13 burn it. I do have the -- their -- both of their  
 14 annual reports in my testimony and they have had  
 15 to change where they send things to occasionally,  
 16 but they list -- this is ReEnergy's that I'm  
 17 looking at right now -- they list their CDD wood  
 18 fuel chip as going in 2015 to SAPPI in Westbrook,  
 19 Lincoln Pulp & Paper and Kruger in -- is that --  
 20 Quebec, Canada.

21 CHAIRMAN PARKER: Okay. I guess my  
 22 concern is if that's how it's being handled,  
 23 that's fine, but of course Lincoln Pulp & Paper is  
 24 gone now too. I just want to make sure that  
 25 something is being done with it other than direct

1 into the landfill because, well, we have no place  
 2 else to go, we have to do something with it. I  
 3 think that's something the state should be very on  
 4 top of because a yard of space is worth so much  
 5 money and it costs so much to develop it so we  
 6 want to use that as precious as we can up there.

7 MS. BERTOCCI: Okay, these are questions I  
 8 believe for Ms. King. Just a followup on the  
 9 Chairman's question, I'm looking at the ReEnergy  
 10 report, your Exhibit 49, and the third page, and I  
 11 just want to see if I understand this correctly.  
 12 It would appear that 108,000 tons of what they  
 13 accept for I guess CDD and clean lumber ends up as  
 14 fines, is that correct? It looks like the vast --  
 15 more than 50 percent of what comes into those  
 16 facilities ends up as CDD fines that then moves on  
 17 to Juniper Ridge?

18 MS. KING: And is beneficially reused as  
 19 alternate daily cover.

20 MS. BERTOCCI: As daily cover. My second  
 21 question has to do with your testimony on page 4  
 22 of your direct testimony regarding the public  
 23 benefit determination and the statement or  
 24 condition of the public benefit determination.

25 MS. KING: I've lost you. What page?

1 MS. BERTOCCI: I'm on page 4 of your  
2 direct testimony.

3 MS. KING: Are you sure it's the direct  
4 and not the rebuttal?

5 MS. BERTOCCI: Well, I could be in the  
6 rebuttal. Let me see. I'm sorry, I guess it's in  
7 rebuttal, yes, sorry, I apologize.

8 MS. KING: That's okay.

9 MS. BERTOCCI: So page 4 of your rebuttal,  
10 the public benefit determination contains a  
11 condition that requires a numerical limit on the  
12 amount of oversize bulky waste that could be  
13 accepted for disposal in the Juniper Ridge  
14 Landfill expansion and you are arguing here  
15 that -- I believe that there should be no limit  
16 set in this permit for oversize bulky waste. Am I  
17 correct in your understanding and what is your  
18 reasoning?

19 MS. KING: You are correct in our  
20 understanding. If you read the PBD carefully that  
21 condition goes back to a findings of fact that is  
22 tied to a conclusion that discusses the compliance  
23 with the C&D processing facilities to meet the  
24 recycling standards; that is, to recycle to the  
25 maximum practicable extent or no less than 50

1 percent, and they do that. So it -- a careful  
2 reading of the PBD indicates that there's no  
3 reason to set a limit for OBW because the purpose  
4 for setting a limit was to make sure that the C&D  
5 processing facilities were recycling to the  
6 maximum extent practicable and the way I read  
7 their annual reports, and the DEP gets copies of  
8 those annual reports every year, ReEnergy and ARC  
9 have displayed that their recycling percentage is  
10 a little bit less and a little bit more than 80  
11 percent which is, I would have to say, to the  
12 maximum extent practicable. Now -- now, another  
13 thing to think about on a pretty arbitrary  
14 limitation is this industry is incredibly dynamic.  
15 We reported in this application which was just  
16 over a year ago that the only oversize bulky waste  
17 we received at Juniper Ridge came from ReEnergy  
18 essentially. Well, in the last five and a half  
19 months, PERC has changed their process and if  
20 they're -- if we're on track for an analyzed  
21 amount, they've begun to send us oversize bulky  
22 waste because they've stopped stockpiling the  
23 incidental oversize bulky waste they received in  
24 the MSW loads and they used to grind that and  
25 attempt to burn it themselves and they're now

1 shipping that to us and avoiding the grinding on  
2 site. So they're on track to ship us probably  
3 10,000 tons in the course of a year of oversize  
4 bulky waste. Our understanding of this condition  
5 in the public benefit determination was similar to  
6 another condition which established a limit on  
7 Maine Energy that there was an attempt to limit  
8 the material that was going into Juniper Ridge and  
9 to hopefully increase the recycling that happened  
10 at facilities that were owned or operated by the  
11 parent company of Juniper Ridge, being Casella.  
12 Maine Energy was owned by Casella. It's since  
13 been closed. KTI Biofuels, which was the  
14 generator of the oversize bulky waste has been  
15 sold to ReEnergy Lewiston. There's -- it's no  
16 longer within our control. We do not own or  
17 operate that facility. So to place a limit on  
18 Juniper Ridge that would affect another commercial  
19 entity that we have no control over at this point  
20 I really think is limiting the business  
21 opportunities and the economic growth in the State  
22 of Maine; in addition to which, the sources of OBW  
23 are now evolving and we can see that with the  
24 change in processing technique of PERC. So you're  
25 not just -- you're not just hurting Juniper Ridge

1 when you put a limit on the OBW that we can take.  
2 Now you are stymying the -- the changes in  
3 technology and the growth of two other facilities  
4 that we don't have any control over.

5 MS. SAUER: Can I just follow up with two  
6 questions?

7 MS. BERTOCCI: Yes.

8 MS. SAUER: Again, for Ms. King, just to  
9 follow up to Cindy's question, I'm looking at the  
10 -- and you don't need to look at it right now but  
11 I'm looking at the public benefit determination  
12 conclusion number one, and it seems that the  
13 commissioner at that time, her conclusion that the  
14 proposed expansion will provide a substantial  
15 public benefit was conditioned, in fact, says  
16 provided an annual limit on OBW is established,  
17 you know, in the license. So given that the Board  
18 respectfully may disagree with what I think is  
19 inherent in your position that legally one can  
20 dispose of and not include the OBW limit in the  
21 license, assuming that the Board disagreed with  
22 that, does Casella -- what would Casella  
23 recommend? Because it's very possible that the  
24 Department will impose a limit, so I think to the  
25 extent that Casella wishes to have input as to

1 what that limit should be --  
 2 MS. KING: So, again, I would bring you  
 3 back to page 20 of the public benefit  
 4 determination and one of the commissioner's  
 5 findings which specifically says, "if and when a  
 6 license is issued for the construction and  
 7 operation of an expansion, the Department will  
 8 establish such a limit." I don't have any  
 9 argument with that, but "the limit will be based  
 10 upon the results of annual demonstrations required  
 11 that waste processing facilities that generate  
 12 residue requiring disposal will recycle or process  
 13 into fuel for combustion all waste accepted at the  
 14 facility to the maximum extent practicable, but in  
 15 no case at a rate less than 50 percent, submitted  
 16 by CDD processing facilities that sent OBW to  
 17 Juniper Ridge Landfill for disposal. Annually the  
 18 Department will re-evaluate and may modify this  
 19 limit." So I guess my point is that those  
 20 processing facilities have been achieving far more  
 21 than a 50 percent recycling rate, and there's a  
 22 potential when this was reviewed by the  
 23 commissioner that they were not recycling to the  
 24 maximum extent practicable, but they have been  
 25 doing that and that's what the basis of this

1 potential limit is. So what should a limit be?  
 2 And our argument is it shouldn't be anything  
 3 because if it's tied to those facilities'  
 4 recycling rates, they're meeting the recycling  
 5 requirement, that's one; and two, those facilities  
 6 are no longer owned or operated by Casella.  
 7 MS. SAUER: I certainly understand your  
 8 answer but I'll just give you one more  
 9 opportunity, if you don't want to take it, that's  
 10 fine, I'm fine with that, but if Casella wishes to  
 11 have input as to what that number should be, if  
 12 not, that's fine, and I would expect perhaps in  
 13 the post-hearing briefs that there may be legal  
 14 arguments made about whether or not that public  
 15 benefit determination condition can be done away  
 16 with, which I think is what you're recommending.  
 17 So we'll leave the legal issues to the  
 18 post-hearing briefs, but to the extent you want to  
 19 have input as to what the limit would be, this  
 20 would be your opportunity.  
 21 MS. KING: I would suggest no limit at  
 22 all.  
 23 CHAIRMAN PARKER: I have another question  
 24 and then I'll be back to you, Cindy, in a minute.  
 25 Mr. Barden, you've mentioned that the state's

1 revenue comes off special waste and construction  
 2 and demolition debris?  
 3 MR. BARDEN: Correct.  
 4 CHAIRMAN PARKER: That's where your fees  
 5 come in from?  
 6 MR. BARDEN: It's -- it's where the fees  
 7 go in and they go into the Solid Waste Management  
 8 Fund.  
 9 CHAIRMAN PARKER: Okay. Now the  
 10 construction and demolition debris which is being  
 11 diverted for daily cover, is the state charging a  
 12 fee for that?  
 13 MR. BARDEN: Well, the --  
 14 CHAIRMAN PARKER: Or is that using space  
 15 without a fee?  
 16 MR. BARDEN: I believe they are, yes. I  
 17 believe the alternative daily cover, those fines  
 18 that are used, I believe those are being charged  
 19 to the landfill at a rate of \$2 a ton just like  
 20 the other facility. So ReEnergy is probably  
 21 paying that tonnage because I'm sure Casella  
 22 passes that back onto the generator.  
 23 CHAIRMAN PARKER: I'm sure they pass it  
 24 back on but the state's revenue comes from that as  
 25 well so --

1 MR. BARDEN: Correct.  
 2 CHAIRMAN PARKER: -- there should be money  
 3 coming to the state from that material?  
 4 MR. BARDEN: And there is, yes.  
 5 CHAIRMAN PARKER: Okay, I just wanted to  
 6 make sure there is, and back to the little  
 7 discussion we just had about the OBW, I don't  
 8 think the state, and correct me if I'm wrong, I'm  
 9 looking at Barden again on this one because I  
 10 guess you're, quote, our owner, just because  
 11 somebody changes the operation of that facility,  
 12 does that mandate that the state has to allow  
 13 additional waste to come in for convenience or  
 14 should they go back and put the pressure on so  
 15 those wastes are not generated and brought to the  
 16 landfill; in other words, if Casella owned it, it  
 17 might be real easy to say you've got to do this  
 18 before you bring it, but you're not talking about  
 19 Casella bringing it, you're talking about other  
 20 people providing it and the state should be in  
 21 charge of that aspect of it. So if there's OBW  
 22 that's coming in in greater volume, then does that  
 23 have to be allowed?  
 24 MS. KING: Could I respond to that as  
 25 well, please?



1 MR. BARDEN: Well, let me just and then  
 2 Toni can. So I think I understand your question.  
 3 You're talking about at the processing facility,  
 4 so should the state require the processing  
 5 facilities to do some additional work to reduce  
 6 that, is that sort of what you're getting at?  
 7 CHAIRMAN PARKER: That's where I'm coming  
 8 from because I think what Ms. King just said was  
 9 that when Casella owned it, they could control it  
 10 and they took care of it. Now somebody else owns  
 11 it so they can't really tell them to do it, they  
 12 just accept it, and maybe I'm hearing you wrong,  
 13 but that's what I'm hearing you say.  
 14 MR. BARDEN: Well, I think, you know, that  
 15 gets back to whether those processing facilities  
 16 are meeting the recycling standard that's  
 17 applicable to them and that's really a DEP  
 18 enforcement issue. They -- according to their  
 19 annual reports, they are recycling, what they  
 20 process, they are achieving greater than a 50  
 21 percent recycling rate. So if they continue to  
 22 accept the same amount of waste they are now of  
 23 the construction debris and they process the same  
 24 amount, they're going to be generating the OBW  
 25 that's either going to go to Juniper Ridge or it's

1 going to go somewhere else.  
 2 CHAIRMAN PARKER: So our only mechanism  
 3 then as the Board, I guess you'd say, is to  
 4 physically put a limit on the OBW and then it has  
 5 to either be processed or not put in your  
 6 landfill?  
 7 MR. BARDEN: It would either not have to  
 8 be put into JRL but then it would go to another  
 9 landfill and use up capacity at that facility.  
 10 CHAIRMAN PARKER: Well, we're only talking  
 11 about a permit for JRL right now, okay?  
 12 MR. BARDEN: No, but it's not going to  
 13 disappear.  
 14 CHAIRMAN PARKER: I understand that or  
 15 maybe it will be processed.  
 16 MS. KING: So what we're talking about  
 17 here, OBW, oversize bulky waste, is a residual  
 18 from a recycling process facility, either PERC or  
 19 ReEnergy or a solid waste facility that's  
 20 attempting to meet the Maine Solid Waste Hierarchy  
 21 Rules by reducing, reusing, recycling, composting,  
 22 incinerating and finally landfilling. So placing  
 23 a limit on OBW is artificially penalizing  
 24 recycling facilities and isn't that what we want  
 25 to be doing is -- is encouraging recycling of this

1 waste? It makes absolutely no sense to me --  
 2 CHAIRMAN PARKER: Ultimately we want to  
 3 minimize the amount that goes in the landfill.  
 4 That's the goal. That's the ultimate goal.  
 5 MS. KING: Ultimately the goal of the  
 6 waste hierarchy is to move materials up the  
 7 hierarchy.  
 8 CHAIRMAN PARKER: That's right. The  
 9 landfill is the very last --  
 10 MS. KING: The landfill is the foundation  
 11 of the hierarchy, yes. So limiting a recycling  
 12 facility's generation of OBW will only serve to  
 13 potentially, you know, put C&D processing  
 14 facilities out of business. Why would they want  
 15 to continue to try to recycle construction and  
 16 demolition debris if their outlets are blocked and  
 17 the net result would be that we get more straight  
 18 construction and demolition debris not attempted  
 19 to be recycled, not processed, that requires a  
 20 home and the only home it has now are landfills.  
 21 So by -- by penalizing processing facilities,  
 22 you're actually creating more solid waste that  
 23 needs to be landfilled and reducing recycling.  
 24 CHAIRMAN PARKER: Well, we'll have to  
 25 debate that I guess. I appreciate your position.

1 Do you have questions, Cindy?  
 2 MS. BERTOCCI: Yes.  
 3 CHAIRMAN PARKER: Some questions from the  
 4 floor I think, right?  
 5 MS. BERTOCCI: Right. This is a question  
 6 from a member of the public for Ms. King and it  
 7 relates to processing facilities and the question  
 8 goes to the issue of wastewater treatment sludge  
 9 and residuals that may originate from out of state  
 10 are destined to a processing facility in Maine for  
 11 composting and the question is, how much of that  
 12 that perhaps is destined for composting -- for a  
 13 composting facility actually ends up being  
 14 diverted to Juniper Ridge Landfill if the  
 15 composting facility is unable to handle it; so it  
 16 goes to the relative volume of it coming in versus  
 17 the actual ability to compost it here or does it  
 18 end up being composted in Juniper Ridge?  
 19 MS. KING: So in 2014 Casella Organics  
 20 diverted a total of 44,256 tons of biosolids and  
 21 other material from landfill disposal and created  
 22 29,000 tons of compost. So 44,000 tons of  
 23 biosolids were composted in 2014 at Hawk Ridge.  
 24 I'm trying to find the land application. Okay,  
 25 2015, Casella Organics land applied 122,000 tons

1 -- 122,000 tons of biosolids and Hawk Ridge  
 2 compost facility took in 47,000 tons of biosolids  
 3 and -- okay, so the land application, just in case  
 4 you had any question, is a -- like a fertilizer on  
 5 a farm field. I'm sure you've seen that other  
 6 places and it's considered recycling by the State  
 7 of Maine. So while the compost facility produces  
 8 compost from biosolids, the land application --  
 9 land applies to for agricultural use and is  
 10 considered recycling, and then --

11 MS. BERTOCCI: So I think the question  
 12 goes to how much actually ends up being unable to  
 13 be used in those fashions and instead ends up at  
 14 the landfill.

15 MS. KING: So I just gave you the tonnages  
 16 of what our organics programs composted and land  
 17 applied, and in 2015 Juniper Ridge accepted 36,473  
 18 municipal wastewater treatment plant sludge tons,  
 19 so slightly less than what goes into Hawk Ridge  
 20 and a lot less than what we're able to land apply.

21 MS. BERTOCCI: Okay, thank you for that  
 22 question, and I have one other if I can continue.  
 23 In your rebuttal testimony you mentioned the Waste  
 24 Management Hierarchy and the application of it to  
 25 licenses, including recently the license issued

1 for Fiberight which you included in your exhibits,  
 2 and I guess I just wanted to know if you're aware  
 3 that the Fiberight application has been appealed?

4 MS. KING: I am.

5 MS. BERTOCCI: Okay. I just wanted to  
 6 note that's the case. Thank you.

7 MR. DOBBINS: Mr. Chairman? Toni, back to  
 8 you, in that chart again on the construction and  
 9 demolition debris, which is like 27.9 percent of  
 10 what goes in the landfill, I'm confused and it's  
 11 probably just me, but in the top heading, "is  
 12 material subject to recycling efforts by the  
 13 generator or otherwise prior to landfilling or is  
 14 its use in the landfill that's considered  
 15 recycling." What is it? Is it considered  
 16 recycling, is it considered subject to recycling?

17 MS. KING: So --

18 MR. DOBBINS: Am I missing something?

19 MS. KING: No, it's difficult to  
 20 understand. This came exactly from the state  
 21 plan, the -- the Waste Management and Disposal  
 22 Capacity Report, and what they were trying to  
 23 display was is the material a residual from a  
 24 processing facility, okay, so --

25 MR. DOBBINS: That's the next one down.

1 MS. KING: So the two -- there's two  
 2 separate things, construction and demolition  
 3 debris is not because it's straight construction  
 4 and demolition debris that you might find coming  
 5 off a job site, for instance, and construction and  
 6 demolition debris processing facility fines is  
 7 because it's gone through a processing facility  
 8 and that's one of the residuals. So is material a  
 9 residual from a processing facility, okay?

10 MR. DOBBINS: So there's no requirement to  
 11 recycle material from a joint site?

12 MS. KING: No, but one of the things that  
 13 we're really proud of when we're looking at  
 14 resource solutions is we've developed a lot of  
 15 relationships with general contractors in the  
 16 state, and we're finding now that instead of them  
 17 asking us for one roll off for their whole  
 18 project, they're actually asking us for a number  
 19 of roll offs and they source separate themselves,  
 20 they pull out the metals, for instance, and they  
 21 pull out the other materials and then -- and then  
 22 the incentive for them is that they can then get  
 23 the revenue for the metals, and we just -- we pull  
 24 the true construction and demolition waste for  
 25 either recycling or disposal, but -- so that's a

1 nice evolution I think. It used to be, you know,  
 2 they just threw everything they could into one  
 3 roll off at the job site and now we're seeing a  
 4 lot more source separation.

5 MR. DOBBINS: Thank you.

6 CHAIRMAN PARKER: Mark?

7 MR. DRAPER: This question is for Mr.  
 8 Barden only because you were the one who mentioned  
 9 it first but a number of presenters mentioned the  
 10 Juniper Ridge Landfill Advisory Committee and it's  
 11 probably in the material here somewhere but could  
 12 you take just a minute and describe what that is,  
 13 who's represented by it and how it functions?

14 MR. BARDEN: So if -- I've provided a  
 15 little bit of a footnote on page 2 of my testimony  
 16 with the Legislature basically. I think that came  
 17 in with the Resolve in 2003 where they basically  
 18 created this Advisory Committee, as a state-owned  
 19 landfill that it would be a citizen group, so you  
 20 can read that footnote, basically how that was  
 21 established and what the representation is. So  
 22 essentially it has representative -- citizen  
 23 representatives basically that are from the City  
 24 of Old Town, I think there's one from the  
 25 Penobscot Indian Nation, from Alton as well. So

1 those are individuals, I'm not sure exactly how  
2 they're appointed, but it's a committee that's set  
3 up to receive information on Juniper Ridge  
4 Landfill as a sounding board for the rest of the  
5 citizens. So that's what I mentioned that we give  
6 them reports from the facility.

7 MR. DRAPER: Just to follow up, how often  
8 does this committee meet, does it meet regularly,  
9 is there an agenda, how does it function?

10 MR. BARDEN: Yeah, we pretty much rely on  
11 them to decide if they want to hold a meeting.  
12 Probably once a year maybe at the most that they  
13 would meet. If there's anything in particular  
14 that's happened at the landfill that they want to  
15 be apprised of they would request a meeting,  
16 sometimes DEP staff attends the meeting, sometimes  
17 they don't.

18 CHAIRMAN PARKER: Board members?

19 MR. MAPES: One question. This is  
20 probably for Toni. The leachate -- you talked  
21 about it at the landfill itself, the leachate goes  
22 to some holding tanks and then what?

23 MS. KING: That's probably a better  
24 question for later but we currently have a  
25 contract with the Old Town mill operator, they

1 Crossroads Landfill so I know how much they're  
2 taking by their -- I don't think I've looked at  
3 their 2015 report but their 2013 and 2014 reports  
4 were approximately 300,000 tons. And they have a  
5 density so I calculated -- you have to make  
6 assumptions on capacity, it's not an exact  
7 science, so you have to assume what's going to  
8 happen in the future and that's not exact. So we  
9 know what -- the capacity remaining at JRL, what  
10 their existing waste volumes is and they will be  
11 out of capacity without the expansion in 2019. So  
12 that 600 to 700,000 tons is going to have to go  
13 somewhere and that's -- it could go out of state.  
14 Some of it could go out of state. That may be  
15 cheaper for communities in southern Maine that are  
16 bringing it up to JRL. Maybe it's cheaper for  
17 them to take it to New Hampshire, but the vast  
18 majority of that waste would go to Norridgewock  
19 and if Norridgewock all of a sudden increases from  
20 300,000 tons to 900,000 tons, they will be out of  
21 capacity based on just some assumptions on  
22 density. I don't know what they are going to get  
23 for compaction but I gave them the benefit of the  
24 doubt and said that they get a 90 percent  
25 compaction rate. To my understanding, they have

1 have their own onsite wastewater treatment plant  
2 and we dispose of our leachate there. We have a  
3 backup contract with the City of Brewer and if  
4 anything happens with the Old Town mill's  
5 wastewater treatment plant, because it still is  
6 operating and taking other commercial wastewater,  
7 then we would go to Brewer. It's trucked from our  
8 holding tank.

9 MR. MAPES: Thank you.

10 CHAIRMAN PARKER: Board members? You'll  
11 have some redirect in just a moment, but do any of  
12 the staff have questions?

13 MS. ELEFThERIOU: Mr. Barden, in your  
14 direct testimony you noted that additional solid  
15 waste landfill capacity will be needed within the  
16 next two years to avoid serious disruption for the  
17 in-state waste deliveries that are currently being  
18 managed at JRL. Would you please tell us the  
19 source for that two-year timeframe?

20 MR. BARDEN: Well, that's based on the  
21 annual reports on capacity that's remaining at JRL  
22 that they submit to the DEP. There is also  
23 information, I believe, on capacity used in the  
24 2014 materials, whatever that report was called,  
25 plus I've also looked at the annual reports of the

1 not applied to the DEP for any expansion  
2 applications. They haven't done a PBD, so that's  
3 a five to seven year process. So if those wastes  
4 from JRL were to be diverted beginning in 2019  
5 they would be out of capacity in 2020 to 2021, and  
6 they do not have an application for an expansion  
7 so I'm not sure where the waste would go after  
8 that.

9 MR. BURNS: Mr. Barden, I just want to get  
10 clarification on something -- well, maybe it's Ms.  
11 King, I don't know -- on table 5.1, the MSW bypass  
12 and soft layer material that's in there, it's  
13 listed as 25,000 tons, we've talked a lot about  
14 that. I've understood that this table in the past  
15 has been for design purposes and I've also heard I  
16 think Mr. Barden say that the MSW bypass would be  
17 very limited at this facility, so my question is,  
18 is this a limit number or is this just a --

19 MS. KING: It's not a limit number. This  
20 is -- this is based on current acceptance and  
21 extrapolated to what we anticipate as about  
22 700,000 tons a year annually moving forward at  
23 Juniper Ridge but none of these are intended to be  
24 a limit number.

25 MR. BURNS: Thank you.

1 CHAIRMAN PARKER: Anymore questions from  
2 staff?

3 MS. ELEFThERIOU: Ms. King, in your  
4 testimony you noted that there are currently --  
5 there are not currently viable mechanisms for the  
6 reuse, reduction and recycling of oversize bulky  
7 waste that are within the control of BGS or  
8 NEWSME. In general, are you aware of any  
9 recycling outlets for OBW within Maine or New  
10 England?

11 MS. KING: We have had limited experience  
12 at some of our other facilities in New England  
13 with mattress recycling, for instance, in the  
14 oversize bulky waste category; however, our only  
15 success with mattress recycling has been -- the  
16 mattress recyclers look for three things  
17 typically, the metal in the springs, the wood in  
18 the frame and the fabric, and if you can find a  
19 source separated the generation point for  
20 mattresses, so like a residential drop off or  
21 potentially a bulky waste pick up day and then you  
22 can segregate the mattresses and bring them to a  
23 recycler, it's successful; but the problem is by  
24 the time they get to a landfill, they have  
25 typically been picked up, transferred, brought to

1 to keep it to about half that time with Mr. Barden  
2 and have the other ten minutes for Ms. King. So  
3 maybe I surrendered the mike too soon but actually  
4 the questions I was going to ask her are -- a lot  
5 of them have been asked already by you people,  
6 which is good, so I've only got one with a  
7 follow-up.

8 CHAIRMAN PARKER: Go for it.

9 MR. SPENCER: All right, yes, sir. Wastes  
10 coming into JRL from a processing facility, in  
11 your opinion, what is the source of that waste?

12 MS. KING: The source is the generator or  
13 the processing facility that produces the residues  
14 and the material by-product.

15 MR. SPENCER: Are you familiar with the  
16 term used by the EPA for the place where a  
17 material -- a material becomes waste, what they  
18 call the point of discard?

19 MS. KING: I'm only familiar with it from  
20 your testimony.

21 MR. SPENCER: Okay. I think you said in  
22 your testimony something about that that was for  
23 -- that EPA only did that for materials that were  
24 designed to be burnt. Well, I think one of the --  
25 isn't one of the stated purposes of these

1 a processing facility, screened, loaded again and  
2 then dumped at the landfill and by that point,  
3 according to the mattress recyclers we've  
4 discussed this with, because they've looked at,  
5 you know, both commodities with us at our landfill  
6 facilities and our transfer facilities, this is in  
7 Massachusetts, it -- they are too contaminated for  
8 the fabric to be able to be recycled, the wood is  
9 typically crushed by that point and not feasible  
10 for removal and recycling of that, and then, you  
11 know, if you can't get those two commodities,  
12 they're not too keen on ripping it apart just to  
13 get the metal. So we've tried but the -- the  
14 outlets just currently are not there.

15 CHAIRMAN PARKER: Mr. Spencer, redirect  
16 and remember, redirect stays with the discussion  
17 we're having, not new --

18 MS. BERTOCCI: Excuse me, I think Mr.  
19 Spencer didn't finish questioning Toni King  
20 initially.

21 CHAIRMAN PARKER: I thought he did.

22 MR. SPENCER: Right, no, no, I think there  
23 was a little misunderstanding. I thought I had 20  
24 minutes but I thought we would go -- kind of do  
25 what we just did and I would ask -- you know, try

1 facilities to provide wood for fuel in Maine  
2 boilers?

3 MS. KING: So if you look at my rebuttal  
4 testimony, Mr. Spencer, the definition that you  
5 cited from the EPA regulations is for nonhazardous  
6 secondary materials to determine whether  
7 nonhazardous secondary materials are solid wastes  
8 when used as fuels or ingredients in combustion  
9 units to determine which Clear Air Act emission  
10 standards apply, and I -- I -- I could not link  
11 that to this application or to the rules in Maine  
12 on processing facilities.

13 MR. SPENCER: Okay. How does NEWSME  
14 really know that these wastes brought to you by  
15 what you call the generators, also known as  
16 processing facilities, how do you and the state  
17 know for certain that these wastes have been fully  
18 reduced at their source and subjected to our  
19 hierarchy practices if they are not within your  
20 control?

21 MS. KING: They are not within our  
22 control, but they -- those facilities are licensed  
23 solid waste facilities and are required to show  
24 compliance with the recycling rule which they have  
25 done annually with no question from the DEP in

1 review of their annual reports.  
 2 MR. SPENCER: So in your opinion, is there  
 3 any way for the state to apply to fully ascertain,  
 4 aside from relying on the generators, that this  
 5 material at its source, which I mean the point  
 6 where it was thrown out for the first time, is  
 7 there any way for the state to verify that without  
 8 knowing, you know, town by town where it was  
 9 thrown out?

10 MS. KING: There's no reason to question.

11 MR. SPENCER: So you think there's no way  
 12 then to verify?

13 MS. KING: I didn't say that. There's  
 14 no -- there's no reason to attempt to verify it.  
 15 The processing facilities that we accept materials  
 16 from are complying with the Maine state rules for  
 17 solid waste facilities and Juniper Ridge Landfill  
 18 is doing the same.

19 MR. SPENCER: Okay.

20 CHAIRMAN PARKER: Tom, do you have  
 21 redirect?

22 MR. DOYLE: I just have one redirect  
 23 question for Toni. Toni, what is the rule and,  
 24 therefore, the requirement of Maine law that this  
 25 application is being processed under for in terms

1 of the Waste Management Hierarchy?

2 MS. KING: The Chapter 400 Waste  
 3 Management Hierarchy?

4 MR. DOYLE: Yes.

5 MS. KING: Yes, the Chapter 400 Waste  
 6 Management Hierarchy?

7 MR. DOYLE: Right.

8 MS. KING: That's the rule.

9 MR. DOYLE: And that's -- that's -- is  
 10 that the standard that you had up on the screen  
 11 this morning?

12 MS. KING: It is. It's one of the  
 13 standards. I had the recycling -- the recycling  
 14 standard and the Waste Management Hierarchy Rule.

15 MR. DOYLE: Right. So that's the rule  
 16 that this application is being processed under,  
 17 correct?

18 MS. KING: It's one of the rules, yeah,  
 19 yeah.

20 MR. DOYLE: Thank you.

21 CHAIRMAN PARKER: Anymore direct? If not,  
 22 a five-minute break or a ten-minute break. We'll  
 23 be back at -- actually we'll take a little longer.  
 24 We'll be back about 2:30. I'm sorry, no, take  
 25 about a ten-minute break and we'll be back.

**(OFF RECORD)**

1 CHAIRMAN PARKER: Okay, we're going to  
 2 start now with the second panel which is  
 3 BGS/NEWSME and we have Mike Booth, John Sevee, Tom  
 4 Doyle, Jeremy Labbe and Bryan Emerson at the table  
 5 and the first questions will be Mr. Spencer.

6 MR. SPENCER: Thank you, Chair Parker.

7 Okay, this is for Mr. Sevee. On page 6 the quote  
 8 is, quote, the modeling indicated that groundwater  
 9 emanating from the landfill site does not pass to  
 10 groundwater users along Route 16, Route 43 or  
 11 Stagecoach Road, end quote. There was a  
 12 discrepancy on this between your analysis and that  
 13 which CES did for the City of Old Town. How do  
 14 you explain any difference of opinion on this or  
 15 has that been resolved?

16 MR. SEVEE: That statement in the report  
 17 is based on four lines of evidence. The first  
 18 line of evidence had to do with reviewing aerial  
 19 photogrammetry and so forth to look for any direct  
 20 fractures that may be headed toward -- in the  
 21 bedrock directed toward Routes 16 and 43. The  
 22 second line of evidence was the data that was  
 23 available from the site investigation itself that  
 24 showed that groundwater follows the topography and  
 25

1 so the groundwater levels are higher in the hills  
 2 and at the ground surface in the low lying areas.  
 3 That creates a situation where higher topography  
 4 away from the site acts as a hydraulic barrier.  
 5 The third line of evidence has to do with  
 6 confirming that that situation exists in the  
 7 direction of -- particularly in the direction of  
 8 Route 43. We installed a well in that direction  
 9 and confirmed that the groundwater behaved in the  
 10 same fashion as it did on site and then the fourth  
 11 line of evidence was the modeling itself which  
 12 incorporated all the bedrock fractures and geology  
 13 that was available from the investigations. I  
 14 still continue to have that same opinion that the  
 15 groundwater does not migrate from the landfill  
 16 toward Route 43 or toward Route 16 other than to  
 17 get down to the lower areas on either side of the  
 18 landfill. It doesn't extend to those roadways.  
 19 On the other hand, I do agree with their  
 20 conclusion that -- the town -- the City's  
 21 conclusion that if there were to be a leak at the  
 22 landfill, it would make sense -- if somebody  
 23 wanted to have their water tested, it would make  
 24 sense for that testing to occur. That's been done  
 25 in the past when people have raised questions and

1 I don't see any reason why the landfill shouldn't  
2 do that.

3 MR. SPENCER: Okay. Page 6, quote, at the  
4 lower elevation surrounding the site groundwater  
5 flow is generally upwards as the groundwater  
6 attempts to discharge into surface waterbodies,  
7 end quote. Does this mean that any contamination  
8 of groundwater from a leak in the liner of the  
9 landfill would end up in the surface waters?

10 MR. SEVEE: If the leak went that far, the  
11 answer is yes, and that's the whole purpose of the  
12 monitoring program is to make sure that that does  
13 not occur.

14 MR. SPENCER: How does the term "generally  
15 upwards" break down as a percentage of the overall  
16 flows or is the case that all the groundwater  
17 flows upwards in some areas and little or none of  
18 the groundwater flows upwards in other areas?

19 MR. SEVEE: The amount of groundwater that  
20 migrates laterally away from the east and the west  
21 has to have someplace to go, and it can't go  
22 downward so it has to go -- it has to discharge.  
23 So all the groundwater that moves to the east ends  
24 up in the surface waters on the east side and all  
25 the groundwater that's moving to the west ends up

1 in the surface waters on the west side.

2 MR. SPENCER: In your estimation, what are  
3 the chances that the single landfill liner under  
4 the currently permitted landfill will leak over a  
5 long period of time, say, 50 years or pick a  
6 timeframe?

7 MR. SEVEE: That -- that landfill liner  
8 has been in operation for 25 years, there's no  
9 evidence that there's any leachate leakage through  
10 the liner. We followed the quality control  
11 procedures during the installation of that liner  
12 to make sure that we didn't have any penetrations  
13 and took care in terms of placing the waste and  
14 operating on top of the liner. So I don't see any  
15 reason why there should be any leakage from that  
16 liner over the next 50 years.

17 MR. SPENCER: Is there an approximate  
18 factor for adding a second liner, you know, how  
19 much safer it is?

20 MR. SEVEE: Well, you can see from the --  
21 the diagram over here to my right that the second  
22 liner is basically a repeat of the first liner.  
23 So it has a redundancy and it's a way of improving  
24 the safety. I can't put it in terms of percentage  
25 or anything like that but it's basically

1 rebuilding the upper liner.

2 MR. SPENCER: Okay. Page 6, quote, this  
3 particular feature that the groundwater passing  
4 from beneath the landfill site remains local was a  
5 key feature in selecting this site as a potential  
6 landfill site, end quote. My question, you also  
7 say on the same page that, quote, thus, in the  
8 unlikely event of a leak from the landfill, in  
9 addition to the natural protection, groundwater  
10 could be collected, end quote. Has anyone ever  
11 done this successfully, pumped contaminated water  
12 from beneath a leaking landfill to keep it from  
13 spreading?

14 MR. SEVEE: Yes. I was involved in a  
15 landfill in Gratiot County, Michigan. It was a  
16 landfill placed out in the middle of a field and  
17 it was built specifically to contain like a  
18 million dead chickens and we installed wells --  
19 pumping wells around the perimeter of that  
20 landfill and effectively cut off any migration of  
21 any leachate away from that landfill.

22 MR. SPENCER: What would be done with the  
23 contaminated water? Would it be treated as  
24 leachate?

25 MR. SEVEE: The water that would be

1 collected would have to be treated, correct.

2 MR. SPENCER: Okay. Page 8, quote, the  
3 leak detection system will identify leachate  
4 leakage through the primary liner system allowing  
5 time to implement appropriate remedial measures,  
6 end quote. Aside from pumping, what other  
7 remedial measures could be used?

8 MR. SEVEE: It's a function of what is  
9 causing the leakage. It may be possible that if  
10 the leakage were occurring during early stages of  
11 landfill operation, you could actually go in and  
12 repair the -- the liner. It may be appropriate to  
13 -- if the leakage is relatively shallow and only  
14 in the till, it may be appropriate to use a  
15 different technology than pumping wells. So it's  
16 really a function of what you observe and you pick  
17 the remedial strategy based on what you observe.

18 MR. SPENCER: Okay. Let's go to Mr.  
19 Michael Booth. On page 5 of your testimony you  
20 divide waste received at JRL into three groups.  
21 The second one described as, quote, waste for  
22 which there currently do not exist feasible  
23 alternatives to recycle or reuse for the  
24 communities served by the JRL, end quote. Where  
25 are these communities located, inside Maine's

1 borders or outside Maine's borders?

2 MR. BOOTH: Since all the waste that's  
3 taken to the Juniper Ridge Landfill is in-state  
4 waste, it's waste that's generated within Maine's  
5 borders.

6 MR. SPENCER: Page 5, quote, prior to  
7 their arrival at JRL and consistent with the Waste  
8 Management Hierarchy, many of these waste streams  
9 will have been reduced, end quote. What about the  
10 other wastes that have not been subjected to the  
11 hierarchy, shouldn't they be reduced at the  
12 source, recycled, et cetera?

13 MR. BOOTH: If you look at the standards,  
14 maximum extent practicable, and the wastes that do  
15 go to the landfill are recycled when there's  
16 options available to recycle them. There are some  
17 materials such as -- an example would be sandblast  
18 grit that's taken to the facility that there are  
19 no environmentally safe other uses for the  
20 material other than to landfill.

21 MR. SPENCER: Page 8, quote, the site does  
22 not overlie or lie adjacent to a mapped  
23 significant sand and gravel aquifer, end quote.  
24 How do you define "significant?" Is that a  
25 scientific term or --

1 the State of Maine, the answer is yes.

2 MR. SPENCER: Okay, on page 15, when you  
3 describe the leachate collection system and the  
4 perforated HDPE piping, what is the crushing limit  
5 of this pipe.

6 MR. BOOTH: I can't give an exact crushing  
7 limit but in the DEP application there was an  
8 analysis of all of the strengths of the pipes and  
9 all the pipe that's put into the landfill is  
10 designed to withstand any of the overburden  
11 pressures and that information is in Volume 3 of  
12 the application, probably in Appendix D somewhere.  
13 I'm not sure of the specific appendix number but I  
14 can provide that to you if you wish.

15 MR. SPENCER: Thank you. What holds up  
16 the vertical gas collection wells? Is it just the  
17 random waste below it?

18 MR. BOOTH: The wells are actually -- I  
19 didn't describe how they do that. The wells are  
20 actually drilled with an auger drill and then the  
21 pipe is placed down into that hole that's drilled  
22 by the auger and then the annulus between the pipe  
23 and the diameter of the auger, which I believe is  
24 around three and a half feet, is backfilled with  
25 crushed stone.

1 MR. BOOTH: It's a term -- that's probably  
2 a better question for John. I believe it's a term  
3 in the regulations, a significant sand and gravel  
4 aquifer.

5 MR. SPENCER: Page 12, the expansion will  
6 only accept in-state waste materials, end quote.  
7 If something is discarded in Massachusetts and  
8 brought to a processing facility in Maine, does  
9 this become in-state waste?

10 MR. BOOTH: The definition of in-state  
11 waste is in the statute and that's what we were  
12 referring to in that quote.

13 MR. SPENCER: If something is discarded in  
14 a community in Massachusetts that has no waste  
15 reduction or recycling options and brought to a  
16 processing facility in Maine, does this waste  
17 comply with Maine's waste hierarchy?

18 MR. BOOTH: If it is -- can you repeat the  
19 question, please?

20 MR. SPENCER: Okay. If something is  
21 discarded in a community in Massachusetts that has  
22 no waste reduction or recycling options and  
23 brought to a processing facility in Maine, does  
24 this waste comply with Maine's waste hierarchy?

25 MR. BOOTH: If that waste is processed in

1 MR. SPENCER: So at the bottom, it's just  
2 -- is it resting on crushed stone on the bottom  
3 and then surrounded by crushed stone all the way  
4 up?

5 MR. BOOTH: Well, the stone rests on top  
6 of itself and then it -- it's drilled down into  
7 the bottom of the -- about 15 feet higher than the  
8 base of the landfill so it's sitting on the waste  
9 material and then the stone -- the bottom stone is  
10 put on there and the column is built up from  
11 there.

12 MR. SPENCER: You described this morning  
13 two seams joining the liners with the air space.  
14 Would the air space become compressed and pop?

15 MR. BOOTH: No, it's very -- very strong.

16 MR. SPENCER: How long do sump pumps last  
17 and can they be replaced?

18 MR. BOOTH: Yes. They last anywhere from  
19 two to ten years and they're actually designed --  
20 all the sumps are designed so we can pull the  
21 pumps out and they can be replaced very easily.

22 MR. SPENCER: Is there a velocity factor  
23 due to slope used in stormwater calculations?

24 MR. BOOTH: I'm not sure what -- can you  
25 repeat that question or explain that a little more

1 what you're asking me?

2 MR. SPENCER: Okay. My question is,  
3 picture, you know, an area of land, you know, like  
4 a landfill, and, you know, if it's pretty flat  
5 like a table, the rain hits it, it runs off like  
6 this, but if it's got steep sides, the water would  
7 gather velocity as in like, you know, a hillside  
8 situation. Is there a factor --

9 MR. BOOTH: Yeah, stormwater calculations  
10 what you do is you kind of create a flow path from  
11 the longest point to the shortest point and along  
12 that flow path you go from first -- you come --  
13 you come -- you go over land flow and then you get  
14 into shallow concentrated flow and then you get  
15 into sheet flow and those numbers are all  
16 calculated. One of the factors that go into those  
17 calculations in the velocity is the slope -- the  
18 slope of the land it's flowing over.

19 MR. SPENCER: Okay, I've got questions for  
20 Mr. Sevee and/or Mr. Booth. While reading JRL  
21 annual reports, I noticed a common occurrence that  
22 elevated parameters are detected and then these  
23 abnormalities are attributed to construction  
24 activity or stormwater. Are you familiar with  
25 Chapter 401 C, Performance Standards and Siting

1 Criteria, one of which says, quote, disturbance of  
2 soil material must not affect ability to monitor  
3 water quality at the facility site, end quote?

4 MR. BOOTH: Yes, I am familiar with that  
5 section of the rules and as I made in my  
6 presentation this morning, there's one of the  
7 criteria in the rules that addresses that by --  
8 that we want to limit any disturbance of the soil  
9 within five feet of the bedrock surface. That  
10 said, looking at the water quality at the site and  
11 then determining what's the cause for changes in  
12 water quality and attributing it to construction  
13 activities does not -- is not counter to that part  
14 of the rules. When we look at the water quality  
15 of the landfill site and evaluate what's going on,  
16 we look at all possible scenarios and it doesn't  
17 limit our ability to look at is this landfill  
18 leachate; in fact, when we look at water quality  
19 in the monitoring wells our first question is, is  
20 this landfill leachate and we go through an  
21 analysis to convince ourselves that it's not  
22 landfill leachate; and if we convince ourselves  
23 it's not landfill leachate, then we look at what  
24 other -- what are the other causes of that and  
25 that's how we come up with the other potential

1 causes of why the water quality was changed in a  
2 particular monitoring well.

3 MR. SPENCER: Okay. This question comes  
4 from my witness, Dr. Coghlan, and it involves the  
5 statistical procedures for monitoring for  
6 contamination. You conducted Mann-Kendall tests  
7 to determine whether there were significant  
8 differences in various water quality metrics that  
9 would indicate groundwater contamination. Based  
10 on the conservative level of Alpha you set at five  
11 percent, it seems like your analysis was designed  
12 to minimize the probability of making a Type 1  
13 error; that is, minimizing the chance of including  
14 a water quality effect existed when it really  
15 didn't; however, this comes at the expense of  
16 increasing the risk of making a type 2 error; that  
17 is, failing to detect a significant effect on  
18 water quality that truly exists. Could you  
19 describe your power analysis so we can better  
20 understand how likely you were to have made a type  
21 2 error and how powerful was your test to detect a  
22 real meaningful contamination effect?

23 MR. SEVEE: This is John Sevee. The  
24 methods we used are the same methods that are used  
25 by EPA and DEP in analyzing the data. These are

1 standardly accepted levels of uncertainty based on  
2 balancing between those two error types and so  
3 basically we're using accepted methods.

4 MR. SPENCER: Okay, Mr. Bryan Emerson, you  
5 mentioned that your consultation regarding  
6 Atlantic salmon consisted of two sentences  
7 transmitted via e-mail. Did you engage in a  
8 formal consultation with U.S. Fish and Wildlife  
9 Service as may be required under the Federal  
10 Endangered Species Act and if not, does this  
11 e-mail exchange serve as an adequate replacement  
12 for a formal ESA consultation review?

13 MR. EMERSON: We have not engaged in  
14 formal consultation with U.S. Fish and Wildlife  
15 Service regarding Atlantic salmon, as we  
16 understand from our conversations with the Corps  
17 that formal consultation will not be required.

18 MR. SPENCER: Has there been any analysis  
19 done as part of this application of potential  
20 impacts to fisheries associated with disposal of  
21 JRL leachate into the Old Town mill's wastewater  
22 treatment plant?

23 MR. EMERSON: We did not do any studies of  
24 that, no.

25 MR. SPENCER: So I've got a -- I'll try to



1 be quick here. In your presentation this morning  
2 you described the setbacks, you know, from the  
3 streams, forested cover, like that. So if all the  
4 setbacks are so good, why are parts of this area  
5 identified as critical habitat for federally-  
6 protected Atlantic salmon?

7 MR. EMERSON: Well, the critical habitat,  
8 to my understanding, is mapped based on watershed  
9 boundaries and that is -- and those boundaries are  
10 as we've shown on the map overlap partially with  
11 the expansion area.

12 MR. SPENCER: Okay. Mr. Jeremy Labbe, how  
13 many landfills does Casella own or operate in  
14 their territory from Pennsylvania through Maine?  
15 Does 13 sound correct?

16 MR. DOYLE: Objection.

17 MR. SPENCER: Are there other --

18 MR. DOYLE: Objection.

19 CHAIRMAN PARKER: What's the reason for  
20 the objection?

21 MR. DOYLE: Relevancy.

22 CHAIRMAN PARKER: Relevancy?

23 MR. DOYLE: We're licensing a landfill  
24 expansion here in Maine.

25 CHAIRMAN PARKER: Your introduction on Mr.

1 loads. We have a designated hot load area for  
2 receipt of any material that is considered hot and  
3 that was one of them. Someone had put, we think,  
4 a hot piece of material inside that load and there  
5 were no fluorescent light bulbs in that load to my  
6 knowledge. I had thoroughly looked through it as  
7 our dozer was moving the material around so the  
8 firefighters could douse the material, but the  
9 second point of your question is CFLs and other  
10 fluorescent lights are considered universal waste  
11 and, therefore, are subject to the universal waste  
12 requirements in the State of Maine.

13 MR. SPENCER: How many -- is it common to  
14 reject a load? Can you give some idea of like --  
15 go ahead.

16 MR. LABBE: Yeah, well, it's not unheard  
17 of to reject a load. What you tend to see is --  
18 I'll give you an example. TVs are a universal  
19 waste. College kids don't understand that TVs are  
20 a universal waste, usually that ends up being the  
21 case. So a transfer station, if they don't happen  
22 to pick up a TV that's incidentally thrown in a  
23 roll off container, it can come onto our facility  
24 and we've seen things like televisions come on in  
25 a C&D load and what we'll tend to do is our

1 Labbe said that he oversaw all the landfills in  
2 the Northeast. You listed several towns.

3 MR. DOYLE: No, my introduction of Mr.  
4 Labbe said he's the landfill environmental manager  
5 for Juniper Ridge Landfill.

6 CHAIRMAN PARKER: Maybe the question  
7 should be more appropriate to one of your other  
8 witnesses then because one of them -- maybe it's  
9 Ms. Hill that's been involved in several  
10 landfills. I'll rule in favor of the objection  
11 now but you may want to rephrase your question for  
12 a different individual.

13 MR. SPENCER: Okay. A truck caught fire  
14 en route to JRL in May of last year, 2015. It was  
15 doused with thousands of gallons of water in  
16 Newport, then reignited just before the JRL exit  
17 where the firefighters could not extinguish the  
18 fire with thousands of more gallons more put on it  
19 so it was towed into the landfill. I heard from a  
20 volunteer at the scene that there were fluorescent  
21 light bulbs contained in the truck. Under current  
22 regulations are these materials acceptable at JRL?

23 MR. LABBE: I'm familiar with what you're  
24 talking about. I was actually onsite during the  
25 time when we offloaded that hot load or those hot

1 operators can actually -- that's a detail that  
2 they look at, they'll detect a TV coming out,  
3 assuming it's not in a thousand pieces, they'll  
4 detect a TV coming in, we actually have spray cans  
5 inside their equipment so they can spray paint  
6 that TV and put it back on the load so they can  
7 bring it back to the facility where they got it  
8 from. If they're doing a different haul, some of  
9 these trucks haul back different material, we  
10 offer them the use of our Pine Tree Transfer  
11 Station where we're licensed to accept that  
12 material. The reason we spray it is we don't want  
13 them to just leave it on the trailer and then it  
14 comes back in again with the next load. We want  
15 to make sure that they're handling it properly.  
16 So that's an example of what we typically see but  
17 we have rejected entire loads before if the  
18 material is not as it's classified.

19 MR. SPENCER: Okay. Specifically, when an  
20 odor complaint is received and you've gone through  
21 your protocol, how is the determination made  
22 whether or not the complaint is legitimate?

23 MR. LABBE: We don't determine if the  
24 complaint is legitimate. What we determine is if  
25 it's confirmed. So I don't ever want to argue the

1 legitimacy of someone being able to sense an odor  
 2 because everybody has got a different threshold  
 3 and some people are more sensitive to different  
 4 odors than others. So what we do is our  
 5 responders are trained to go out to that site, if  
 6 they requested it, we're not going to go visit a  
 7 neighbor if they don't want us there. If they do  
 8 want us at their facility, we'll go out, we'll  
 9 bring some of our instrumentation with us, we'll  
 10 also bring obviously that trained operator and  
 11 they'll be able to either confirm that it was  
 12 there or they weren't able to confirm that it was  
 13 there. So if the odor is there when they're  
 14 present, they'll describe that odor, they'll write  
 15 down what they smelled; if it's not there, they'll  
 16 say that there is no odor present at the time that  
 17 they responded to that.

18 MR. SPENCER: I don't think I followed up,  
 19 so how many loads get rejected like in a year?

20 MR. LABBE: I don't have that number.

21 MR. SPENCER: Are there regular tests for  
 22 gases besides hydrogen sulfide and methane?

23 MR. LABBE: Do you want to clarify --  
 24 well, I guess the answer is yes.

25 MR. SPENCER: So, I mean, as part of

1 sections. Predominantly what we do on the open  
 2 sections is hydrogen sulfide monitoring with  
 3 something called a drone meter. The reason we  
 4 monitor for hydrogen sulfide in the open areas of  
 5 the landfill is that hydrogen sulfide is typically  
 6 produced by decomposing waste sooner than methane  
 7 and so that is the parameter we're going to check  
 8 first, and obviously since your operating area is  
 9 new waste, we want to make sure that we're going  
 10 to catch what we do first. So that's the sampling  
 11 we do in the open areas. The covered areas where  
 12 we're in that anaerobic, the absence of oxygen,  
 13 that environment where the methane is produced,  
 14 that's where we look for that methane.

15 MR. SPENCER: So in addition to the  
 16 methane on the covered and the hydrogen sulfide on  
 17 the uncovered, are there any other tests on the  
 18 landfill for any other gases?

19 MR. LABBE: Well, with part of our well  
 20 tuning we test for carbon dioxide, we test for  
 21 nitrogen, which is typically what they call a  
 22 balance gas, we test for oxygen, we test for  
 23 temperatures of the gas, we test the pressures of  
 24 the gas, the vacuum on each collector, we can test  
 25 hydrogen sulfide at each well location if we so

1 the -- I understand for the Clean Air license the  
 2 testimony. Is that like a quarterly --

3 MR. LABBE: So what I mentioned in my  
 4 testimony, the EPA's new source performance  
 5 standards requires a minimum monthly sampling at  
 6 our gas collection locations and that's at any of  
 7 the active locations as part of that program.

8 We'll typically do it more often because we feel  
 9 every two weeks typically is a good indicator for  
 10 us and we can reserve the right to do it more  
 11 often. We also do monthly something called TRS  
 12 which is a total reduced sulfur. It's a  
 13 measurement that we use for detecting sulfur  
 14 compounds in our gas as part of our license and  
 15 that's something that we do at the treatment and  
 16 flare location.

17 MR. SPENCER: On your methane monitors,  
 18 would you notice a difference in the reading  
 19 whether or not you are over a covered or active  
 20 portion of the landfill, and could I come check  
 21 that out with you sometime?

22 MR. LABBE: Yeah, you could -- you  
 23 could -- we could show you how we do our quarterly  
 24 methane surface scans which are also part of the  
 25 EPA's program. That's done on intermediate cover

1 choose. We can test many parameters on the  
 2 landfill and we do typically. In fact, we're  
 3 required to do a lot of those by the EPA's  
 4 requirements and the DEP's requirements.

5 MR. SPENCER: Okay, I'm good. Thank you.

6 CHAIRMAN PARKER: City of Old Town, Mr.  
 7 Katsiaficas?

8 MR. KATSIAFICAS: No questions for the  
 9 witnesses.

10 CHAIRMAN PARKER: Mr. Snowman?

11 MR. SNOWMAN: Yes, just one question.  
 12 Jeremy, I was hoping that you could describe any  
 13 major similarities or major differences in the  
 14 sources and types of waste that went into the now  
 15 closed Pine Tree Landfill and the sources and  
 16 types of wastes that are currently going into JRL  
 17 or have gone into Juniper Ridge. Is it accurate  
 18 to say JRL provides capacity where PTL left off  
 19 largely?

20 MR. LABBE: It is accurate to say that JRL  
 21 provides an avenue for waste disposal for some of  
 22 the material -- or most of the in-state waste  
 23 materials that went into Pine Tree when it was  
 24 open and operating, predominantly things like  
 25 front end process residue from PERC, incinerator

1 ash from PERC, construction and demolition debris  
2 produced locally from contractors or transfer  
3 stations, special wastes like contaminated soils  
4 from cleanup jobs around the State of Maine,  
5 things like that.

6 MR. SNOWMAN: So were -- what were the  
7 major differences would you say in the waste  
8 stream?

9 MR. LABBE: Well, the one major difference  
10 is Pine Tree being a commercial landfill could  
11 accept out-of-state waste and Juniper Ridge as a  
12 state-owned landfill accepts just in-state waste.

13 MR. SNOWMAN: Could you maybe provide us  
14 with a specific customer or something like that  
15 that you had to cut off from dumping into the --

16 MR. LABBE: Yeah, and I don't have a  
17 specific customer I could provide to you as far as  
18 someone we'd have to cut off.

19 MR. SNOWMAN: Because they were  
20 bringing -- because that was -- I believe that was  
21 characterized in the newspaper back in 2005 as  
22 they admitted to 47 percent, at least I believe  
23 was the term, out-of-state garbage was going into  
24 -- was going to Pine Tree, so I was -- you know,  
25 that seems like you'd have to cut off like half of

1 working on a clay soil which is another typical  
2 soil we work with on landfills which we have to be  
3 more concerned with issues like settlement. It  
4 makes the construction of the site -- of the  
5 landfill system much easier.

6 MR. LAITE: Okay, great, thank you, and in  
7 the containment system, you know, this is, it  
8 looks like, pretty technical. How does it compare  
9 to other systems throughout the state?

10 MR. BOOTH: This is probably one of the  
11 most robust liner systems that I'm aware of in the  
12 State of Maine, if not the most robust liner  
13 system.

14 MR. LAITE: Thank you. One final question  
15 for Mr. Emerson. I noticed that you discussed  
16 being -- the acreage being two times the amount  
17 required by the Army Corps of Engineers. Why?

18 MR. EMERSON: Why --

19 MR. LAITE: Why are you going two times  
20 the amount of acreage into the preservation than  
21 is required?

22 MR. EMERSON: Because we wanted to go  
23 above just the minimum of what -- what was  
24 required. We wanted to provide additional  
25 compensation.

1 what -- half of what was going in there.

2 MR. LABBE: Yeah, I don't have that number  
3 or the generators in front of me but the  
4 out-of-state waste that was going into Pine Tree  
5 needed to find -- once that closed needed to find  
6 another home.

7 CHAIRMAN PARKER: Mr. Laite?

8 MR. LAITE: Yes, thank you. I had a  
9 couple questions for Mr. Sevee but his explanation  
10 of the natural soils was very good and what  
11 happens with the leak detection that was very  
12 thorough, thank you.

13 Mr. Booth, from a design standpoint, I  
14 know you've done a number of these projects  
15 throughout the state, what's one of the most  
16 favorable attributes of the site at Juniper Ridge?

17 MR. BOOTH: From a designer's standpoint  
18 probably the most favorable is the types of soils  
19 that are onsite. They're very tight, as John  
20 explained, they're very tight soils, they have a  
21 good component of clay, they have a good component  
22 of other size particles so they're very tight from  
23 a hydraulic standpoint. They're also very easy to  
24 work with, they're very easy to compact and to  
25 place and they're not soft, so they're not like

1 MR. LAITE: Thank you.

2 CHAIRMAN PARKER: Before we go to the  
3 Board, I've got three questions -- three or four  
4 questions from the floor. Mr. Emerson, you have  
5 the -- you had the microphone so I'll start with  
6 you.

7 MR. DOYLE: I just -- I want to know if I  
8 need to object. I just want to make sure you're  
9 ready.

10 CHAIRMAN PARKER: The first question is --  
11 and I'm not sure who -- somebody out here wrote  
12 it -- how many acres of wetlands set aside in the  
13 original landfill application are being displaced  
14 by this expansion application and how are they  
15 accounted for; isn't the original acreage  
16 conservation in the original application being  
17 counted as -- as a double of -- I think the  
18 question is, are you counting some of the original  
19 land set aside for mitigation twice or is this  
20 additional land above and beyond? I think that's  
21 what the question is asking.

22 MR. EMERSON: Yup, no, I understand, I  
23 understand that. There were two areas that were  
24 protected as preservation as part of the original  
25 landfill siting and you can see them on the

1 printout over there and I had it up there with the  
 2 areas outlined in purple. One of them is within  
 3 our proposed preservation area and there's another  
 4 area that's set down to the southwest of the  
 5 landfill. It's a large wetland area. Those two  
 6 areas were both protected by deed restriction.  
 7 The landfill expansion is not impacting those  
 8 areas that were protected previously and, in fact,  
 9 our preservation area encompasses one of those  
 10 areas to provide a larger area as a more  
 11 continuous block of protected land. So we have no  
 12 impacts to those areas that were previously set  
 13 aside.

14 CHAIRMAN PARKER: Okay, thank you. This  
 15 one is for Mr. Labbe. If hazardous wastes were  
 16 delivered without your knowledge, what would the  
 17 process be for its removal? You stated it would  
 18 be the responsibility of the generator. What  
 19 would this entail?

20 MR. LABBE: I guess it depends on the  
 21 source, the type and the amount. You know, if --  
 22 if it's a five gallon can of urethane paint  
 23 that's, you know, still wet or something like  
 24 that, that would be relatively simple. If it's a  
 25 full load of material, then we'd immediately

1 cordon off the area to make sure that people are  
 2 not walking around -- or not working around that  
 3 area. We'd initiate conversations with the  
 4 generator of that material, we'd call the DEP and  
 5 we'd collectively come up with the best case  
 6 scenario for how we manage this material.

7 I think to say there's a specific  
 8 procedure for all materials is a little difficult  
 9 because each material will have its own procedure  
 10 and we really want to have collectively the DEP's  
 11 input on what they feel would be the best way to  
 12 do it as well as where does it go once it comes  
 13 out of here because we don't want to just say  
 14 we'll get it out of here. We want to make sure  
 15 that it goes to the right location and we can  
 16 follow it and make sure it's handled properly.

17 CHAIRMAN PARKER: Okay, thank you. Mr.  
 18 Booth, you've got three questions. Pumping  
 19 groundwater from the site -- this is the  
 20 question -- I assume this is not using a simple  
 21 basement sump pump. How far on the landscape  
 22 involved will the influence of lowering the  
 23 groundwater be felt?

24 MR. BOOTH: As far as remediation is that  
 25 speaking about or --

1 CHAIRMAN PARKER: I assume. I don't know.  
 2 I'm only reading what I have here.

3 MR. BOOTH: I mean, the answer to that  
 4 would be --

5 CHAIRMAN PARKER: This is sort of a two  
 6 part; one, is it a simple sump pump; and number  
 7 two, how far away from the actual landfill will  
 8 the lowering of the groundwater be felt. I think  
 9 those are the questions.

10 MR. BOOTH: Would it be a simple sump  
 11 pump, no, it would probably be a simple  
 12 submersible pump similar to a well pump that you  
 13 put in your well and they can put down a hole and  
 14 pump out. That's probably what they'd use. There  
 15 are a number of other types of pumps that are  
 16 airlift pumps. It really would depend on the  
 17 application.

18 How far that would be felt would be  
 19 dependent on the design of the extraction system  
 20 and how it was spaced. If there was an issue  
 21 where we needed to pump groundwater, we'd do a  
 22 study and design an extraction system to identify  
 23 a particular area that we were trying to remove  
 24 the water from. So it would vary depending on  
 25 what the objective of -- what the specific system

1 they were trying to install is.

2 CHAIRMAN PARKER: Thank you. Question  
 3 two, is a complete cover system in place on any  
 4 portion of the existing landfill?

5 MR. BOOTH: No.

6 CHAIRMAN PARKER: Okay, and it says here,  
 7 Mr. Booth mentioned that the system employed would  
 8 detect a leak within three days of the liner being  
 9 compromised. This would require an underdrain  
 10 sampling of sites to be sampled daily and the  
 11 results available immediately. What is the  
 12 frequency of underdrain sampling and how long does  
 13 it take to get the results of such sampling? Is  
 14 this not then the minimum -- okay, is this not  
 15 then the minimum leak detection?

16 MR. BOOTH: The criteria I was referring  
 17 to is 30 days is how long it takes for water once  
 18 it would get down through the primary liner system  
 19 to get to the underdrain system and to travel to  
 20 the underdrain pumping area. So three days is the  
 21 travel time that it would take for that leak to  
 22 get down into the system and travel to the edge  
 23 where it would be pumped out. The pumping system  
 24 for the leak detection system is monitored  
 25 continuously for flow and is recorded on the

1 system, Jeremy has spoken. If we saw a large  
 2 increase in flow volumes, that would be something  
 3 that would become immediately -- you'd be  
 4 notified, that would initiate a number of other  
 5 steps to understand why that flow went up and that  
 6 would probably include sampling that well to see  
 7 if there was actually a change in the water  
 8 quality in that well or if the change in flow is  
 9 from some other activity.

10 There is a liner leakage plan in the  
 11 application which talks about initial  
 12 characterization of the flow and then, like I  
 13 said, the flow is continuously -- we look at it  
 14 on -- the underdrain, the kind of tables are  
 15 measured monthly and to get a handle. As time  
 16 goes on, we build a database of what typical water  
 17 quality in that underdrain would look like, so  
 18 once we have some data, if we saw something  
 19 change, we would know that there was something  
 20 going on that we had to react to.

21 CHAIRMAN PARKER: Okay, thank you. I have  
 22 no more questions from the floor. Questions from  
 23 the Board. Tom.

24 MR. EASTLER: What was that question --  
 25 well, I did it originally but then it was more

1 bedrock is closer to the base grade of the  
 2 landfill, we thought it was prudent to go with  
 3 that heavier, thicker liner on the secondary liner  
 4 just to provide more redundancy in the system.  
 5 MS. CHASE: Okay, the second -- thank you.  
 6 The second question is, you said there's a series  
 7 of six I think --

8 MR. BOOTH: Cells.

9 MS. CHASE: -- cells that you're going to  
 10 be doing and each time if there's new technology  
 11 available, you would be applying that to that  
 12 cell. Is that on your own or is that a  
 13 requirement?

14 MR. BOOTH: I don't believe it's a  
 15 requirement but we typically try to keep up and  
 16 add new systems in a new -- whatever design, we  
 17 bring it up to the conventional standards. A  
 18 typical thing that happens in landfill designs are  
 19 the testing that's done on materials can change  
 20 from, you know, year to year or different ASTM  
 21 standards are promulgated or methodologies are  
 22 changed and then we update how we -- you know,  
 23 when we're looking at the liners and what we're  
 24 requiring for materials with unique properties, we  
 25 require them to meet the most current properties.

1 like a comment than a question with regard to the  
 2 terminology noise. That's really what I wanted  
 3 to -- we really ought to -- should be talking  
 4 about things that have defined terms and noise has  
 5 no metric and that's not good. Sound pressure is  
 6 perfectly good.

7 CHAIRMAN PARKER: Kathy.

8 MS. CHASE: Can I go? Thank you. I  
 9 believe this is for Mr. Booth. In your  
 10 description of the augmented lining system that  
 11 you're having, the first question is, the reason  
 12 why you're adding more to that is because the  
 13 technology is available and you've had more  
 14 information, not because there's an issue with any  
 15 of the first liners, right?

16 MR. BOOTH: That's correct. The reason  
 17 we're adding it is under the rules it described --  
 18 it spoke to offset credits and it described how  
 19 many offset credits you get for specific types of  
 20 liner design. You get two years of offset credits  
 21 for just incorporating the geomembrane liner in  
 22 the system, you get three years of offset credits  
 23 if you added a composite system, if you add in  
 24 that extra layer of clay and the GCL on top of  
 25 that. So in areas where we have shallow or the

1 MS. CHASE: Thank you.

2 CHAIRMAN PARKER: John?

3 MR. MAPES: Which one of you talked about  
 4 truck weights?

5 MR. LABBE: Overweight trucks?

6 MR. MAPES: Yes. The state has rules about  
 7 truck weights. Why do you do truck weight  
 8 studies? What's the rationale behind it?

9 MR. LABBE: Well, it was a request from  
 10 the Advisory Committee to monitor truck weights,  
 11 and since we scale trucks in or out -- yeah, the  
 12 state has a 100,000 pound weight limit and they  
 13 usually allow two and a half percent, you know,  
 14 102,500. Our policy is trucks over 105 get  
 15 warned, trucks of 110, they're not allowed to come  
 16 back into the facility for a period of time  
 17 determined by the general manager but we wanted to  
 18 make sure that, you know, our contractors and  
 19 people delivering to us were for the most extent  
 20 handling the material acceptably. Sometimes it's  
 21 difficult when there's no scales at their facility  
 22 so that's what they take into account, but it's  
 23 been a very successful policy, the truckers don't  
 24 seem to mind the policy unless they're the ones  
 25 that happen to be subject to it, but overall I

1 think it's a good neighbor policy.

2 MR. MAPES: Thank you.

3 CHAIRMAN PARKER: Alvin.

4 MR. AHLERS: Mr. Sevee, you talked a  
5 little bit about groundwater flow and that it was  
6 impeded or at least stopped by the topography  
7 beyond the landfill. What would you expect with  
8 much higher than normal precipitation with that  
9 groundwater and also would that -- would that  
10 impact the flow in the bedrock?

11 MR. SEVEE: If you had higher  
12 precipitation, you might get additional  
13 groundwater depending on the time of year it was  
14 coming in. So assuming that we do get some  
15 additional recharge and it enters the groundwater  
16 system, that would be entering the groundwater  
17 system throughout that entire region and the  
18 analysis that I referred to relative to this  
19 hydraulic barrier effect would still be valid. So  
20 the groundwater would still remain relatively  
21 local to the landfill. The bedrock would  
22 basically behave the same. If it had the capacity  
23 to take more water given the elevations, it would  
24 -- it would just accept that more water. If it  
25 can't, the water table would rise to the surface

1 and the excess precipitation would run off.

2 MR. AHLERS: Mr. Booth, you had a little  
3 discussion on remedial action if, in fact, there  
4 was a leak there. Would you expect remedial  
5 action, say, pump and treat to last forever for a  
6 situation like -- like at Juniper Ridge?

7 MR. BOOTH: You know, any type of remedial  
8 measure that would be installed would also be  
9 installed with a set of monitoring -- either  
10 monitoring wells or monitoring points and, you  
11 know, we would be looking at as the -- as any type  
12 of action was implemented what the effects were  
13 and once we were convinced -- you know, once the  
14 data shows that the problem had been corrected, we  
15 would shut the system off. If -- you know, if  
16 not, the system would continue to pump.

17 MR. AHLERS: And I guess -- I mean, I  
18 always think of those systems lasting for a long  
19 time just because you've got a continuous leak  
20 existing.

21 MR. BOOTH: One of the things about -- you  
22 know, if you look at the robustness of this liner  
23 system, you know, the systems you're referring to  
24 may be an old site that doesn't have a containment  
25 system, you know, something that somebody put

1 waste -- you know, was dumped on the ground at a  
2 factory or something like that and it wasn't  
3 contained. I mean, that is a very extremely  
4 robust liner system. Any type of leaks that did  
5 occur would be a very small percentage. So, you  
6 know, I don't think it's similar -- my sense is as  
7 we're talking about this is uncontrolled sites  
8 types of systems.

9 MR. AHLERS: You talked a little bit about  
10 underdrains in the area that was below groundwater  
11 level. Is that system designed with some  
12 redundancy so that if you had failures with  
13 pumping systems in another part of the system?

14 MR. BOOTH: That system could be used, you  
15 know, to collect water that if it -- if it was  
16 water quality below the liner system that needed  
17 to be collected, that system could be -- we could  
18 tie that system in and collect the water that came  
19 out of it. That system is really in there to  
20 facilitate construction. You know, once we have  
21 the physical landfill liner down -- we need to  
22 keep the water table down in the area of the  
23 construction. Once that's constructed and then  
24 the liner is put back on and the landfill is  
25 developed, actually having upward pressures is

1 beneficial because it keeps water migrating down.  
2 So that's the primary purpose for that underdrain.

3 MR. AHLERS: So that's a construction  
4 issue, not a long-term --

5 MR. BOOTH: That's correct, but if -- you  
6 know, part of that underdrain -- part of the  
7 monitoring program is to monitor that underdrain  
8 and to evaluate the water quality. If necessary,  
9 we could collect that.

10 MR. AHLERS: You also talked about having  
11 technical support supervision onsite during  
12 construction. Is that at all times during  
13 construction and would that person be a very  
14 well-trained person that knows all the details of  
15 landfill construction?

16 MR. BOOTH: Yes. The --

17 MR. AHLERS: You're not going to put a  
18 rookie out there, are you?

19 MR. BOOTH: No. We -- you know, it is a  
20 full-time person because there is a lot of  
21 activity that's going on during the landfill  
22 construction. He's also supported -- in a typical  
23 construction job, he's supported by the people in  
24 the office so if there is an issue, you know,  
25 we're contacted immediately. One of the great

1 things about new technology is we can take  
 2 pictures and data can be transferred and we can,  
 3 you know, evaluate what's going on and address  
 4 issues as they come up. That person by the rules  
 5 is required to have certification in the  
 6 specific -- like liner installers, there's a  
 7 certain test that you have to pass or a certain  
 8 amount of experience that you have to pass in  
 9 order to oversee those constructions, so you do  
 10 know what you're looking at and they can make the  
 11 appropriate judgments, but if there's a big  
 12 judgment that needs to be made during  
 13 construction, they also bring in either myself or  
 14 the other design engineers involved in the  
 15 project.

16 MR. AHLERS: Mr. Emerson, you talked a  
 17 little bit about wetlands and vernal pools and  
 18 discarding some of them or at least reducing their  
 19 value because of diversity. Is that the only  
 20 reason why you would lower the value of one of  
 21 these and not, say, unique -- some unique species  
 22 or something?

23 MR. EMERSON: Are you speaking about  
 24 vernal pools or just wetlands in general?

25 MR. AHLERS: Well, I don't remember -- I

1 don't remember exactly the conversation, whether  
 2 it had to do with vernal pools or wetlands, but I  
 3 guess my question is, if it pertains to both,  
 4 fine, if it doesn't --

5 MR. EMERSON: Sure, yeah, okay, yeah, I  
 6 think I can answer it for both. In regards to  
 7 wetlands, when we provided -- in our function and  
 8 value assessment, one of the -- one of the  
 9 functions and values that we evaluate is whether  
 10 the wetlands provide habitat for an endangered  
 11 species or rare species of any kind. We didn't  
 12 find that in any of the wetlands being impacted as  
 13 part of the project. As part of our function and  
 14 value assessment, we also did a rare, threatened  
 15 and endangered species survey, field survey on the  
 16 ground, which confirmed those findings. So yes,  
 17 if we had found rare species in there, that would  
 18 change what we would consider the level of  
 19 function and the level of value of those wetlands.

20 In regards to vernal pools, you may be  
 21 referring to my reference to blue spotted  
 22 salamanders which we had seen in the preservation  
 23 area. Those -- those are species -- those are  
 24 less common species to find in vernal pools than  
 25 regular yellow spotted salamanders or wood frogs

1 which are the obligated vernal pool species. So  
 2 yes, the point being, we didn't see any of those  
 3 blue spotted salamanders in the expansion area  
 4 vernal pools, in the manmade vernal pools in the  
 5 expansion area. We saw them in the pools in the  
 6 preservation area. So that diversity of  
 7 habitat -- the diversity of species using the  
 8 vernal pools in the preservation area was greater  
 9 than in the expansion area.

10 MR. AHLERS: When you talked about  
 11 compensation for filling, I am assuming that that  
 12 is at least a minimum of replacing what is lost to  
 13 some other location that would be preserved --  
 14 preserved against construction of anything for the  
 15 future, is that -- is that --

16 MR. EMERSON: Yes, that's correct. The  
 17 preservation area has a -- that we've set aside at  
 18 266 acres has a deed restriction that's been  
 19 placed on it. That's been approved and looked at  
 20 by DEP staff, it was looked at by the Corps of  
 21 Engineers as well, and that prohibits development.  
 22 There's a number of stipulations in there in terms  
 23 of soil disturbance, timber harvesting is  
 24 prohibited within that preservation area, a number  
 25 of development things that would be prohibited.

1 MR. AHLERS: So there's sufficient land on  
 2 the property to enable you to do that?

3 MR. EMERSON: Yes. With that 266 acres,  
 4 one of the reasons why -- and this maybe addresses  
 5 the question that Mr. Laite had as well -- we  
 6 wanted to preserve an area that was large enough  
 7 that could be -- we considered to be an  
 8 ecologically sound unit in and of itself. If you  
 9 preserve a small, little, tiny area, it's not  
 10 going to provide the functions as a larger area.  
 11 This area provided -- had, you know, like I said,  
 12 well more than the minimum requirements but also a  
 13 diversity of habitat types and wetland types to  
 14 provide that level of protection.

15 MR. AHLERS: My next questions are for Mr.  
 16 Labbe. You talked about oversight of loads coming  
 17 in or rejected. Can you tell me what your  
 18 penalties are for -- I mean, you mentioned some  
 19 not letting them come back in. I mean, that seems  
 20 like a pretty -- pretty easy off type thing. Do  
 21 you have any stricter penalties? Do you audit  
 22 your upstream suppliers so that you know what  
 23 they've got coming in? Do they provide you with a  
 24 description of what they're supplying you?

25 MR. LABBE: Yeah, so when I was talking

1 about penalties, that was for the drivers with  
 2 overweight trucks, but with regard to waste  
 3 acceptance, the process we've got is in line with  
 4 the DEP/EPA requirements and it's very thorough.  
 5 So, say you're Joe Generator and you've got a site  
 6 where -- you've just acquired and it's got some  
 7 contaminated soils, if you contact one of our  
 8 sales guys or someone in the field or even a third  
 9 party and Juniper Ridge is one of the options, you  
 10 have to go through the waste characterization  
 11 program which initially starts with, well, who are  
 12 you, where is the material coming from, what are  
 13 the major -- like does it have any odor, can you  
 14 describe the material to me, what was the source  
 15 of contamination for that material, and based on  
 16 this profile form which I showed you the first  
 17 page, it's kind of like an interview process. We  
 18 evaluate that information and then we go back to  
 19 what we have called blanket permits which are  
 20 permits issued by the DEP that allow us to take in  
 21 certain materials like contaminated soils. We  
 22 say, okay, if you -- if your category is one of  
 23 those blanket permits, well, we have testing  
 24 requirements. So, okay, Joe Homeowner, you have  
 25 to go or industrial producer, you have to go and

1 test your -- test your soil for -- sorry -- for  
 2 these metals, these VOCs, volatile organics, these  
 3 semi volatile organics, whatever happens to be  
 4 required. Now, if it's a material that does not  
 5 fit in our blanket permits, then we have to apply  
 6 for a specific permit for that material with the  
 7 DEP and then we have a prescriptive testing that  
 8 needs to be developed for that material and you,  
 9 as the generator, for every load you bring to us  
 10 have to have a manifest. So once we have -- this  
 11 is kind of a long process, I apologize, once we  
 12 have that initial information, we'll put you in  
 13 our database system and when we have the testing  
 14 and we can approve the testing, I review it and  
 15 there's EPA and DEP limits on different  
 16 materials -- on different metals and volatiles and  
 17 semi volatiles, different compounds, assuming that  
 18 you're okay and you've been approved and you meet  
 19 those, we put that data into our database as well  
 20 and then we finalize that what we call a profile  
 21 and it pops out something called a profile number.  
 22 We take that information, put it in our scales  
 23 program. Only then can you start bringing us  
 24 material once the scales program has been  
 25 populated, and then we give you that profile

1 number as a distinct profile for your material.  
 2 You bring in a manifest -- for each load that  
 3 comes in you have to have -- identify everything  
 4 on that manifest that we require with the profile  
 5 number on it, give it to the scale attendant, the  
 6 scale attendant can inspect it and that's where we  
 7 go to the inspection process, we're inspecting  
 8 material, type you into the system and then you  
 9 can come in and bring your material. So that way  
 10 we can track exactly what you're bringing us based  
 11 on that profile number, how many loads, how many  
 12 tons for each load, what that material was, what  
 13 the dates you brought it in were, each manifest  
 14 that you give us is stapled to our manifest we  
 15 generate and put in a permanent file. So, you  
 16 know, there's a lot of questions about is this  
 17 material vetted, do you know where it comes from.  
 18 I just don't -- I don't think people understand  
 19 the process that needs to go through for materials  
 20 to come in, and that's really -- I know that's a  
 21 long answer but that's kind of the process.

22 MR. AHLERS: Have you ever had to tell an  
 23 upstream client to find another disposal site?

24 MR. LABBE: Yes, we have turned material  
 25 away. An example would be sandblast grit. Say

1 they're sandblasting an old bridge, lead paint is  
 2 an issue when you do sandblasting. They're  
 3 required to do a metals test. We've had instances  
 4 where they send us their analytical results and  
 5 their lead is above our requirements so we say  
 6 this is a hazardous material, we can't take this  
 7 material at our site, you need to find a home as a  
 8 hazardous waste site, which is out of the State of  
 9 Maine because there is no hazardous waste disposal  
 10 sites in the State of Maine, so it needs to go out  
 11 of state.

12 MR. AHLERS: Thank you.

13 CHAIRMAN PARKER: Tom.

14 MR. DOBBINS: This is a question for Mr.  
 15 Emerson. Back to the preservation site, you  
 16 mentioned 266 acres which is two times the Army  
 17 Corps requirement. Is that 266 acres -- because I  
 18 think this was what the person in the audience  
 19 wanted to know -- as an example, we'll just say it  
 20 was ten acres and two acres were that purple area.  
 21 Is that ten new acres you've got or is that eight  
 22 and two?

23 MR. EMERSON: Right, no, it is 266 new  
 24 acres.

25 MR. DOBBINS: New acres above --



1 MR. EMERSON: Yes, yes, exactly.  
 2 There's -- there's -- that purple area that we're  
 3 encompassing is 16 acres, so combined it's 282  
 4 total acres in that one continuous area.  
 5 MR. DOBBINS: Thank you.  
 6 CHAIRMAN PARKER: Any questions from the  
 7 staff?  
 8 MR. BEHR: Is this on? Okay. I have  
 9 questions for Mr. Sevee. Mr. Spencer's questions  
 10 have helped address some of those. Is it still  
 11 on? Okay. Let's start with the groundwater  
 12 divide that's located presumably southwest of the  
 13 facility and you discussed the lines of evidence,  
 14 there were four, and one of them has to do with  
 15 the modeling that's been completed, but I'm  
 16 wondering are there --  
 17 MR. EASTLER: Can't hear you. You'll need  
 18 to take your thumb off that little thing.  
 19 MR. BEHR: My thumb isn't on this thing.  
 20 How is this? Okay, loud and clear. For this  
 21 proposed application, you did submit new modeling  
 22 results. Did the application include additional  
 23 explorations that would help us feel more  
 24 comfortable in the existence of that groundwater  
 25 divide and could you elaborate on those

1 explorations?  
 2 MR. SEVEE: For the expansion, there were  
 3 no additional offsite investigations compared to  
 4 the earlier application of the original landfill,  
 5 but during the original landfill application, this  
 6 issue particularly of groundwater movement toward  
 7 Route 43 was a concern. James River at that  
 8 particular time went out and met with individuals  
 9 around the landfill and that was raised as a  
 10 concern. When we got the information for the  
 11 original landfill site and started understanding  
 12 how this groundwater would behave in that  
 13 low-lying wet area coming up to the ground  
 14 surface, we felt as though we didn't have any  
 15 information on the other side of that where this  
 16 hydraulic barrier would exist to confirm that that  
 17 same hydrogeology was on the other side, and so we  
 18 got permission to go onto the other side of the  
 19 creek and put in well 209 I think it is there and  
 20 that basically showed the same hydrogeologic  
 21 system; in other words, the groundwater was  
 22 following the ground surface, the pressure down  
 23 deep in the bedrock were similar to what it was in  
 24 the soil; in other words, we weren't getting a  
 25 draining effect, if you will. So that's the only

1 piece of information that we have on that side of  
 2 the creek in terms of an exploration.  
 3 MR. BEHR: If you were asked to collect or  
 4 complete additional explorations to define that  
 5 groundwater divide, what would you propose?  
 6 MR. SEVEE: To me, the most useful  
 7 location would be at the -- at the peak of the  
 8 topography in that direction, and you'd want to go  
 9 down deeper into the rock. You'd want to make  
 10 sure that the pressures in the rock are reflecting  
 11 those groundwater pressures and that is what  
 12 provides that hydraulic barrier.  
 13 MR. BEHR: Okay. Another question for  
 14 John. Related to the remote possibility that at  
 15 some time in the future if this expansion is  
 16 approved you have a leak and you've already  
 17 addressed -- spoken briefly about the remedial  
 18 techniques, but I'd like you to talk a little bit  
 19 about the timeframe for -- if there is a -- we  
 20 know there isn't but a typical leak that you would  
 21 have to -- that would require a pumping well, how  
 22 long would it take the facility to do the  
 23 groundwork once we know that there's some sort of  
 24 release to install or design and install and begin  
 25 operation of a remedial project like that?

1 MR. SEVEE: Okay, sampling at the site is  
 2 done every -- approximately every three months  
 3 except for the winter period. So if we detected  
 4 some change in the water quality, it may be -- and  
 5 there wasn't anything in the previous round, that  
 6 means that leak could have been going on for  
 7 approximately three months. Once we confirm that  
 8 piece of information with a subsequent analysis,  
 9 that may take another few months. At that point  
 10 we would need to sit down with the DEP and discuss  
 11 what we've observed and come up with what is the  
 12 -- what should we be looking at and what is the  
 13 potential source of that. That may take some  
 14 period of time. You'd probably end up doing some  
 15 sort of subsurface investigation and that may take  
 16 several months to do. It may take up to six to  
 17 eight months to do depending on the complexity and  
 18 so forth and how we're tracking it down. The  
 19 bedrock may take a little bit longer than  
 20 something occurring in the till, and then once you  
 21 have that information and come up with a remedial  
 22 approach, it wouldn't take very long to come up  
 23 with a remedial approach, assuming that we're all  
 24 on the same page, the DEP and the landfill  
 25 operator, and then you would implement it. If it

1 was pumping, that can be implemented -- I mean, it  
 2 takes a day to put in a groundwater extraction  
 3 well. The biggest part of the element would be  
 4 finding out how to pipe this system together and,  
 5 you know, is it a single well, is it multiple  
 6 wells and that sort of thing. Again, that may  
 7 take several months to complete. So those are the  
 8 various parts and so we're sort of talking about  
 9 timeframes of a year but realistically you'd  
 10 probably want to add a factor of safety of maybe  
 11 two on top of that, so you're talking about maybe  
 12 something in the order of one to two years  
 13 realistically to implement something. Sometimes  
 14 it can go a lot faster. If it's a simple problem,  
 15 I mean, you could be in there -- I've been  
 16 involved in some situations where we've identified  
 17 a problem and we're in and out in a matter of a  
 18 few months.

19 MR. BEHR: Thank you. The next question  
 20 has to do with the computer modeling that you've  
 21 done to simulate groundwater flow directions and  
 22 you've done a series of model simulations, one  
 23 includes predicting the flow under current  
 24 conditions, and if we're looking at the northern  
 25 part of the proposed expansion, the model's output

1 shows flow in a northerly direction in a portion  
 2 of that. Once the landfill, if the landfill is  
 3 approved, it's built out, the modeling that you  
 4 did demonstrates or predicts that groundwater flow  
 5 in the northern portion of the landfill is going  
 6 to flow in the opposite direction. So my  
 7 questions are, was that a surprise to you; and,  
 8 two, how does that alter the monitoring program  
 9 for the future?

10 MR. SEVEE: It wasn't a surprise in the --  
 11 from the perspective that when the landfill is  
 12 completely constructed, that whole ridge basically  
 13 is going to be covered with plastic and  
 14 precipitation recharge is going to be eliminated  
 15 from that ridge. So we knew that the groundwater  
 16 patterns were going to change. We sort of  
 17 anticipated before running the model that the  
 18 groundwater would probably move from the southeast  
 19 across the site more or less to the northwest.  
 20 That was our supposition, but the wonderful thing  
 21 about these computer simulations is that it gives  
 22 us a much better insight into what the groundwater  
 23 will probably do, and so that's -- you know, it's  
 24 just another great tool that we have today that we  
 25 didn't have years ago in order to design these

1 monitoring systems, and in terms of the monitoring  
 2 network, yes, it is important to know that because  
 3 we want to put the monitoring wells in the areas  
 4 where the groundwater is going to be moving from  
 5 underneath the landfill, irregardless of what the  
 6 source is, we want to be on that downgradient  
 7 area. So yes, that will be important.

8 Of course, we will also have groundwater  
 9 level measurements around the landfill and I  
 10 believe we may be doing something underneath the  
 11 liner as well to redefine that groundwater pattern  
 12 and that will also add into how we deal with the  
 13 monitoring wells at that point in the future.

14 MR. BEHR: Thank you. And the last  
 15 question has to do with current groundwater  
 16 quality in the vicinity of the landfill. Mr.  
 17 Spencer asked some questions about how the water  
 18 quality has changed and in annual reports  
 19 submitted by Casella you have noted that because  
 20 recharge has been reduced significantly by the  
 21 existing footprint that we are seeing water  
 22 quality changes that are not related to leachate  
 23 releases, and I ask how much -- that adds a level  
 24 of difficulty obviously to determining whether or  
 25 not changes that are observed in the water quality

1 are a result of leachate release or activities  
 2 associated with constructing and operating the  
 3 landfill. Are you certain that in the event the  
 4 expansion is approved that we will be able -- and  
 5 Casella will be collecting data that would enable  
 6 Casella and yourself and the State of Maine to  
 7 determine whether or not the landfill is operating  
 8 properly given that we're ultimately going to  
 9 change groundwater flow directions, we know that  
 10 based on your analysis that water quality changes  
 11 without any release of leachate to the  
 12 environment?

13 MR. SEVEE: We will have in the future --  
 14 assuming that the expansion is approved, we will  
 15 have information on the quality of the leachate  
 16 that's being generated by that expansion, and what  
 17 we would typically do would be to look at that  
 18 suite of compounds that's in the leachate and  
 19 evaluate which ones are the most mobile and look  
 20 at the groundwater chemistry in the monitoring  
 21 wells and decide, okay, are we seeing the same  
 22 compounds that are in the leachate outside in the  
 23 monitoring wells, and for instance, yes, there are  
 24 some changes in water quality at the existing  
 25 landfill, but the most prominent species --

1 chemical species in the leachate is chloride and  
 2 we don't see that increasing. So you basically  
 3 fingerprint the leachate and you compare that with  
 4 the fingerprint of the water quality and that to  
 5 me is what provides you with the confidence to say  
 6 that the landfill liner system is working properly  
 7 or improperly, and sometimes it's difficult to  
 8 tell and sometimes you need to take another step  
 9 and maybe test for some other compounds or  
 10 whatever to see if you can fingerprint it better,  
 11 but that's basically the method that I would use  
 12 and that's what gives me the confidence that we  
 13 would be able to detect a leak.

14 MR. BEHR: Thank you.

15 MR. FARRAR: All right, this question --  
 16 is it working? This question will be for Mike  
 17 Booth, if you can hear it. This question is for  
 18 Mike Booth. Mike, in your written testimony and  
 19 this morning you talked about the use of proposed  
 20 pressure transducers located at the bottom of each  
 21 cell to monitor the leachate level --

22 CHAIRMAN PARKER: Excuse me, speak a  
 23 little slower so --

24 MR. FARRAR: You talked about the pressure  
 25 transducers that will be in the bottom of each

1 cell to measure the leachate head buildup on each  
 2 of the cells and this morning you described an  
 3 acceptable upper limit of 12 feet. Would you like  
 4 to clarify that?

5 MR. BOOTH: Yeah, I misspoke. It was 12  
 6 it was -- it's 12 inches, sorry about that.

7 MR. FARRAR: Okay 12 inches.

8 MR. BOOTH: 12 inches is what's in the  
 9 regs. I did misspeak.

10 MR. FARRAR: Could you describe the  
 11 actions that would need to be implemented if the  
 12 12-inch maximum limit was exceeded?

13 MR. BOOTH: Probably the first action  
 14 would be to inspect and clean the leachate lines.  
 15 If they're not draining properly, then that would  
 16 be a reason for a leachate head to build up inside  
 17 the cell so the first thing to do would be to  
 18 inspect and also clean it. The technology that's  
 19 available now we can actually put a camera down  
 20 the lines and we use a large enough pipe so that  
 21 we can get that camera down and can actually get  
 22 cleaning equipment into the lines to clean.

23 MR. FARRAR: Also in your pre-filed  
 24 testimony you presented some figures for leachate  
 25 reduction rates that would be expected during the

1 operational period of the proposed expansion.  
 2 Were those figures you included in there just for  
 3 the expansion or did they include the existing  
 4 landfill.

5 MR. BOOTH: They were for the entire site  
 6 and that was -- in the slide which I showed the  
 7 progression of the development, what we did is we  
 8 looked at the entire landfill site and how much  
 9 leachate would be developed -- generated from each  
 10 of the individual areas depending on whether  
 11 they're open, closed or had intermediate cover and  
 12 then we sumped those all together because they  
 13 were all going into the same leachate storage  
 14 tank.

15 MR. FARRAR: Okay, and as the operations  
 16 go forward would Casella be monitoring whether or  
 17 not the leachate flows coincide with what those  
 18 predictions were?

19 MR. BOOTH: I would hope so.

20 MR. FARRAR: Okay, thank you. And just  
 21 for those that don't know, you described both 80  
 22 mil and 60 mil geomembrane liners in your liner  
 23 system. Could you put those in terms of inches?

24 MR. BOOTH: Yeah, a mil is one-thousandths  
 25 of an inch. So 80 mils is eighty-thousandths of

1 an inch, eighty one-thousandths inches. It's  
 2 about that thick (indicating) and 60 mils is sixty  
 3 one-thousandths of an inch.

4 MR. FARRAR: Thank you. The next question  
 5 is for Jeremy Labbe. You discussed the broadband  
 6 and backup alarms of Casella equipment at the  
 7 existing landfill. Could you describe a little  
 8 further how those work and --

9 CHAIRMAN PARKER: Excuse me, speak a  
 10 little slower and clearer so she can understand  
 11 you.

12 MR. FARRAR: Okay. Would you be able to  
 13 speak and describe a little bit further how those  
 14 alarms work and perhaps what their zone of  
 15 influence or maybe travel distance of the sound  
 16 waves might be?

17 MR. LABBE: Yeah, so I don't --  
 18 unfortunately I don't have the spec sheet for them  
 19 in front of me so I don't know the travel  
 20 distance, but they are a broadband sound alarm, so  
 21 it's -- and I might have to punt to our sound guy  
 22 who can explain sound pressures and how they  
 23 affect your ears but in laymen's terms, with a  
 24 typical beeping alarm, and if you guys have ever  
 25 been around a construction site or anything

1 backing up, you can hear it but you have no idea  
 2 where it's coming from. So most people are doing  
 3 this (gesturing) trying to figure out where the --  
 4 and you don't even know if it's coming towards  
 5 you. With these broadband alarms, you can  
 6 actually detect like someone speaking to you what  
 7 location around your head it's coming from, if  
 8 it's going away or coming towards you.  
 9 Additionally, like you said, because of the type  
 10 of sound that's coming out, it doesn't travel as  
 11 far. I don't have -- I don't have that distance  
 12 unfortunately. It's in the -- I'm sure it's in  
 13 the technical literature that comes with the  
 14 alarms. So they don't come stocked on equipment,  
 15 we have to install them aftermarket, so we've been  
 16 very, very, very happy with them. I would  
 17 encourage anybody who has the opportunity to use  
 18 them because they are phenomenal.

19 MR. FARRAR: Okay, without giving the  
 20 exact distance, you've been out on the site, how  
 21 far would you roughly say it would be?

22 MR. LABBE: Well, this is the cool part.  
 23 So say there's a bulldozer with its blade where  
 24 you guys are at like maybe ten feet away and it's  
 25 backing up that way, you can't hear the backup

1 alarm, maybe if you listen really closely you can  
 2 barely hear it, but if he's on the other side of  
 3 the cell and he's backing towards me and he's  
 4 facing me backing towards me, I can hear him clear  
 5 as day and that's the great thing about it. It's  
 6 not -- you know, it doesn't travel in a circular  
 7 fashion, and I'd say across the cell is really  
 8 clear. I mean, if you're -- I can't hear them  
 9 when I'm standing on the paved area, you know,  
 10 offsite, off the cell, I can't hear those guys  
 11 operating on the cell. So I guess on a clear day  
 12 if you're really listening and you're far away you  
 13 can detect it further.

14 MR. FARRAR: Thank you. In addition to  
 15 the four offsite hydrogen sulfide monitors you  
 16 talked about, you used two internally to the  
 17 landfill. Could you describe how you use those  
 18 further in the context of the overall odor control  
 19 program at the site?

20 MR. LABBE: Sure. So the four meters  
 21 were -- the locations were predetermined. We  
 22 worked with the DEP to figure out predominant wind  
 23 patterns and locations where we think those would  
 24 be most effective and those are off site at  
 25 residences or close to residences off the site.

1 The two onsite monitors we have we use for -- I  
 2 call them operational monitors so we can move them  
 3 from locations. Recently we've had them in two  
 4 locations that we think are predominant ones,  
 5 right on the south side and actually that's the  
 6 one I pointed out during our site visit, literally  
 7 right off the landfill. The other one is north of  
 8 the landfill closer to Route 16. So we can move  
 9 those and we really use them operationally to  
 10 gauge how we're doing onsite because really if we  
 11 can mitigate or manage the odor onsite we can help  
 12 with odor potential offsite.

13 MR. FARRAR: And you also discussed a  
 14 reporting limit for the hydrogen sulfide monitors  
 15 offsite of 15 parts per billion. Could you  
 16 discuss how you obtained that as the number to use  
 17 for the reporting purposes?

18 MR. LABBE: An iterative process, is that  
 19 enough detail? No, so 15 parts per billion, you  
 20 know, there was a lot of back and forth on  
 21 hydrogen sulfide measurement as a whole.  
 22 Depending on if you live in certain states, they  
 23 have certain, you know, different criteria they  
 24 look at and 15 parts per billion was not a chronic  
 25 level but a -- an acute level, thank you, so that

1 was a level we decided to go with for an alarm  
 2 setting for Maine.

3 MR. FARRAR: Okay, thank you. Could you  
 4 briefly describe the operational procedures that  
 5 Juniper Ridge Landfill takes to avoid potential  
 6 landfill fires?

7 MR. LABBE: Yeah, absolutely. Important  
 8 is cover, very important. Obviously as my safety  
 9 guy always likes to talk about, the fire triangle,  
 10 for those of you who -- you know, you need oxygen,  
 11 you need fuel, right, and an ignition source,  
 12 right, of some sort. Sorry, I can't remember my  
 13 triangle. So the biggest one, we can't change the  
 14 fuel, right? The fuel is the waste, it's there  
 15 and we try to eliminate any possible sources of  
 16 ignition. That's why we have a specific hot load  
 17 area that's not in an active waste placement area.  
 18 That's on a gravel pad in case we ever have a hot  
 19 load coming in and then the biggest thing that we  
 20 take out is oxygen, and that's -- the way we do  
 21 that is by our synthetic cover materials which  
 22 eliminate the potential for oxygen getting into  
 23 the waste, our extensive daily cover as well as  
 24 watching our gas collection system to make sure  
 25 we're not over pulling. We want to make sure that

1 we're pulling all the gas that's being generated  
 2 or as much as possible that's being generated but  
 3 we don't want to be pulling so much that we're  
 4 pulling air into the waste and creating  
 5 potentially an aerobic environment, kind of like  
 6 the wet hay bale I like to look at. We don't want  
 7 to create that environment. So that's why we  
 8 monitor our system very thoroughly.

9 MR. FARRAR: Okay, and I think you  
 10 answered this question already but you talked  
 11 about overweight trucks and penalties for the  
 12 truckers that bring them in.

13 MR. LABBE: Um-hum.

14 MR. FARRAR: I thought I heard you say  
 15 that the first time it's a warning, the second  
 16 time you're -- two strikes you're out, is that  
 17 accurate?

18 MR. LABBE: So the 105 is a three strike  
 19 policy, 105, right, and 110 is a one strike  
 20 policy.

21 MR. FARRAR: Okay, thank you.

22 MS. ELEFThERIOU: Mr. Labbe, in your  
 23 testimony you noted that JRL has a backup sulfur  
 24 removal system using Sulfa Treat media. Would you  
 25 please explain how the system is used in

1 regenerable process and so it's very labor  
 2 intensive to change that out and it's costly and  
 3 it's not the best environmental solution. So we  
 4 keep it as a backup, but our primary solution is a  
 5 regenerable process that uses bacteria to create  
 6 elemental sulfur and that's the Thiopaq process.  
 7 MS. ELEFThERIOU: Thank you. Mr. Labbe,  
 8 Exhibit 45 of your direct testimony, that's the  
 9 odor complaint management and response plan, you  
 10 have a figure that illustrates odor-related  
 11 complaints from 2005 through June of 2016. In  
 12 general, the number of odor complaints seems to  
 13 have decreased since 2007; however, it appears  
 14 that odor-related complaints increased during 2015  
 15 when the Thiopaq sulfur removal system was  
 16 installed. Would you please explain this  
 17 increase?

18 MR. LABBE: Yeah, sure. So during  
 19 startup, if you've ever started up an industrial  
 20 facility, the startup is a process that takes time  
 21 to get things running smoothly. Additionally,  
 22 what you do inside the system is you actually  
 23 aerate the liquid where the bacteria live and they  
 24 actually need that oxygen just like you and I do,  
 25 and that oxygen comes out the top, the air comes

1 conjunction with the Thiopaq sulfur removal  
 2 system?

3 MR. LABBE: So currently we maintain it as  
 4 a backup. It's on standby in case we need to.  
 5 Our air license requires our Thiopaq system to be  
 6 operational 95 percent of the time or at least a  
 7 treatment system, whether it's primary or  
 8 secondary, and we have not had to use our Sulfa  
 9 Treat system since we began operation of our  
 10 Thiopaq. We've been well over 95 percent up time  
 11 on our Thiopaq system since its commencement of  
 12 operation in 2015, which is quite exciting, but  
 13 the Sulfa Treat system is basic. It's iron oxide  
 14 pellets. Think of something the size of kitty  
 15 litter or maybe a little bigger. It's clay  
 16 material that's actually impregnated with iron  
 17 oxide on the surface. It's coated, I should say,  
 18 with iron oxide on the surface and you pass the  
 19 gas through it and the hydrogen sulfide reacts  
 20 with that iron material and pulls it out, but then  
 21 you have to take that sulfur laden material out  
 22 and you waste it away. Now, it's permanently  
 23 bound in there, it's not coming out as iron pyrite  
 24 but you actually have to put it in the landfill so  
 25 it's one of those things that it's not a

1 out the top, and it does have some sulfur odor to  
 2 it and so when we built the facility, we installed  
 3 an interim carbon system which was small and we  
 4 didn't feel was adequate to handle the amount of  
 5 -- it was something that really I put together and  
 6 I wasn't happy with it when I put it together, so  
 7 we actually went and put in a full-blown carbon  
 8 system that's much better that summer, and you can  
 9 see in 2016 it's all but eliminated those issues  
 10 and we're very happy with the process. We were  
 11 always happy with the process, and we think now  
 12 it's -- it's -- we've found what we needed to do  
 13 as far as the carbon system to be more adequate.

14 MS. ELEFThERIOU: Thank you. Again for  
 15 Mr. Labbe, in your direct testimony on page 15 you  
 16 noted that waste activity reports detailing each  
 17 and every load of waste material accepted at JRL  
 18 are submitted to the Maine DEP, the Bureau of  
 19 General Services, the Landfill Advisory Committee  
 20 and the City of Old Town on a monthly basis. For  
 21 the record, the Department no longer receives  
 22 these reports but has access to them  
 23 electronically via the DECB website.

24 MR. BEYER: This question is for Mr.  
 25 Emerson. In your testimony you described the

1 methodology -- the Highway Methodology for  
 2 determining wetland functions and values. Can you  
 3 just briefly describe what that entails and how  
 4 you go about looking at a wetland and determining  
 5 what functions and values it has?

6 MR. EMERSON: Sure, yes, I can. So the  
 7 Highway Methodology, as I mentioned, is a Corps of  
 8 Engineers methodology that assesses 13 different  
 9 functions and values and those range from wildlife  
 10 habitat, flood flow alteration, sediment  
 11 intoxicant retention, all the way down through.  
 12 Those are one of the functional things it assesses  
 13 and then the ones that are more values are visual  
 14 quality, aesthetics, endangered species habitat,  
 15 these types of things. So the Highway Methodology  
 16 is a qualitative assessment, it's not a  
 17 quantitative, you don't assign a number score to  
 18 it. It's meant to be a field-based survey  
 19 combined with a desktop level assessment. So you  
 20 do a review of available resources that you have,  
 21 whether that's, you know, state mapping resources  
 22 or aerial photographs, USGS maps, all these  
 23 various publicly-available sources and any other  
 24 mapping that you have to determine what the  
 25 functions are of these wetlands and then you do a

1 field visit, and the field visit is where I feel  
 2 like you really get the most out of it because you  
 3 can really see what the conditions are of the  
 4 wetlands. So you go out and you check what the  
 5 predominant community type is, is it a forested  
 6 wetland, is it a scrub/shrub, is it emergent, what  
 7 the habitat diversity is. You know, a wetland  
 8 that's strictly a forested wetland is going to  
 9 have lower functions than a wetland that's got a  
 10 variety of habitats, let's say, a mix of  
 11 scrub/shrub, shrubby plants versus emergent  
 12 grasses and a dense marsh area. You also assess  
 13 the surrounding landscape in terms of what's  
 14 there, how much development pressure is on these  
 15 wetlands, what are the -- what are the natural  
 16 systems and upland area like around these  
 17 wetlands. So there's a series of considerations  
 18 that are included as an appendix in the Highway  
 19 Methodology that you can walk through to assess  
 20 each wetland related to each function and the goal  
 21 of that is to determine, number one, whether or  
 22 not the wetland provides that function at all,  
 23 and, number two, if it provides that function,  
 24 does it provide it at a level to be considered a  
 25 principal function, meaning it provides it at a

1 high level and so it's a process you go through  
 2 for each wetland as you go out and we did it for  
 3 this project for the expansion area and then  
 4 within the preservation area as well, went out to  
 5 field visit each wetland and documented those --  
 6 those conditions and that's how we arrived at the  
 7 conclusions we have.

8 MR. BEYER: Thank you.

9 CHAIRMAN PARKER: Okay. Any further  
 10 questions? Any redirect?

11 MR. DOYLE: I have one redirect. Just one  
 12 question for Mr. Sevee. Mr. Behr asked you about  
 13 the time it would take to design a remediation  
 14 system if there were a leak and you discussed how  
 15 long it may take to -- for a leak to be detected  
 16 in a monitoring well. Given that this is a double  
 17 liner system, could you explain the role of the  
 18 leak detection system in detecting leaks before  
 19 they even get to a monitoring well?

20 MR. SEVEE: The function of the leak  
 21 detection system is basically to act as an early  
 22 warning system of leakage to the primary liner,  
 23 and as Mike testified a little while ago, we would  
 24 see that in a relatively short order of time  
 25 measured in days or weeks, and so it's basically

1 to have a jump on dealing with leakage to the  
 2 primary liner before it even gets out into the  
 3 groundwater environment beyond -- you know, either  
 4 underneath or beyond the landfill.

5 MR. DOYLE: That's it.

6 CHAIRMAN PARKER: Thank you. Okay, we're  
 7 running about ten minutes behind schedule right  
 8 now. Did you have any redirect?

9 MR. SPENCER: I've got a quick question --

10 CHAIRMAN PARKER: Recross.

11 MR. SPENCER: -- for Jeremy Labbe or  
 12 anyone for that matter. What is the low level,  
 13 the constant exposure limit for hydrogen sulfide?

14 MR. LABBE: There is no established low  
 15 level concentration limit for hydrogen sulfide.

16 MR. SPENCER: So the 15 parts per billion  
 17 as acute level, what's the duration -- what's the  
 18 -- you know, at what point could exposure to 15  
 19 parts per billion cause a health problem?

20 MR. LABBE: So, again, it depends on the  
 21 study you're talking about. There's no limits in  
 22 the State of Maine on hydrogen sulfide  
 23 concentrations. You want to be careful not to say  
 24 that there are. You know, in our established --  
 25 what we established voluntarily was based on what

1 we felt through research and papers and other  
 2 things would be an adequate level for safety.  
 3 Now, as far as the timeline, it depends on the  
 4 paper you talk to and I can't give you that  
 5 information off the top of my head.  
 6 MR. SPENCER: Okay, thanks.  
 7 CHAIRMAN PARKER: Are we all set? Okay,  
 8 right now we're running a little bit behind so  
 9 we're going to take -- I'm going to try to squeeze  
 10 out about ten minutes but then we're going to  
 11 start promptly because we want to get this  
 12 finished before we open our public session, so  
 13 4:00 on the button.

14 **(OFF RECORD)**

15 CHAIRMAN PARKER: We're now going to have  
 16 a presentation by Dr. Coghlan. He's here on  
 17 behalf of Mr. Spencer, and as I've cautioned  
 18 people, try to speak loud and slow because she's  
 19 been working a long day so far. Go ahead.

20 MR. SPENCER: I just want to briefly  
 21 introduce Dr. Stephen Coghlan and it's my great  
 22 privilege to have made his acquaintance. Thank  
 23 you.

24 MR. COGHLAN: Well, the feeling is mutual.  
 25 Is that on? Can everybody hear me?

1 MR. EASTLER: It's not on.  
 2 MR. COGHLAN: How about that?  
 3 CHAIRMAN PARKER: You've got it.  
 4 MR. COGHLAN: The feeling is mutual, Ed.  
 5 Thanks to the Board and to Cindy especially for  
 6 accommodating my teaching schedule. I think my  
 7 students probably would have preferred I cancel  
 8 class tomorrow but we'll do it this way. I also  
 9 wanted to say thanks to all the previous  
 10 presenters with their testimony written and also  
 11 the rebuttal of mine. Certainly I've learned  
 12 quite a bit since I've gotten into this, so I  
 13 appreciate that.

14 So Steve Coghlan, I'm an associate  
 15 professor of freshwater fisheries ecology at the  
 16 University of Maine. It's nice to see another  
 17 U-Maine graduate here. In general, my areas of  
 18 focus and what I teach courses in would be  
 19 freshwater fisheries ecology and management,  
 20 general ecology, ecological statistics and  
 21 biophysical economics. In general, I do research  
 22 on aquatic ecology --

23 CHAIRMAN PARKER: Slow down a little.

24 MR. COGHLAN: Sorry, in general I do  
 25 research on aquatic ecology. Much of my research

1 lately has focused on the ecological effects of  
 2 dam removal in the Penobscot River Watershed. I'm  
 3 also director for the Maine Chapter and network  
 4 speaker for the Center for the Advancement of the  
 5 Steady State Economy or CASSE -- see if this  
 6 works -- sorry, those were supposed to pop up one  
 7 at a time.

8 So the scope of my testimony today, I  
 9 think I'm here for two reasons. I'm not here to  
 10 be either an advocate for or a proponent against  
 11 the expansion. I'd like to be here as a  
 12 scientist, as an ecologist. I'd like to bring  
 13 some skepticism, I think that helps science out  
 14 quite a bit, to identify what I thought were  
 15 insufficiencies or gaps in the knowledge or gaps  
 16 in the information and I'd also like to bring  
 17 maybe a slightly different perspective than we've  
 18 heard so far and so I think that science really  
 19 progresses greatly by both of those things, some  
 20 skepticism and another perspective.

21 So I'm approaching this taking a systems  
 22 ecology view of how the landfill and its expansion  
 23 would relate to our natural economy and our  
 24 natural environment and our economy and my  
 25 testimony is based on my limited understanding of

1 natural processes and how they conform and they're  
 2 governed by and constrained by biophysical laws.  
 3 And so first and foremost I claim no expertise  
 4 regarding any legal or regulatory matters. I'll  
 5 do my best to just stick to what science that I'm  
 6 comfortable with. So the major points that I'm  
 7 going to go through from my pre-filed written  
 8 testimony would be first discussing some federally  
 9 protected fish, Atlantic salmon, Atlantic sturgeon  
 10 and short-nosed sturgeon, talk about sea-run  
 11 fishes in general in the Penobscot River, to tie  
 12 those both into the Penobscot River Restoration  
 13 Project, which I'll describe in some detail in the  
 14 context of improving or increasing ecological  
 15 integrity and also resilience of the entire  
 16 Penobscot River watershed, anthropogenic climate  
 17 change or global warming, and then wrap up with a  
 18 few final thoughts.

19 So Atlantic salmon are a species with a  
 20 very long, complex, complicated life history.  
 21 Spawning occurs in small streams or rivers in the  
 22 fall, adults build gravel nests, they deposit  
 23 their eggs, fertilize, they incubate over the  
 24 winter in the gravel, the young emerge in the  
 25 springtime, they establish and defend territories,

1 they intercept drifting invertebrates in cool,  
 2 swift rocky streams, depending on their growth  
 3 rate they might reside in the streams from one to  
 4 maybe three or four years before they undergo a  
 5 physiological transformation called  
 6 smoltification. They can tolerate sea water, they  
 7 go out to sea and they might come back one to two  
 8 years later depending on their growth rate and  
 9 unlike Pacific salmon, they're capable of spawning  
 10 multiple times.

11 And so we can summarize the physiology of  
 12 the salmon and some of the aspects of their  
 13 complex life history with a few important points.  
 14 So first of all, they need cold, clean water;  
 15 second, they need free-flowing rivers that allow  
 16 them access to a wide variety of habitats,  
 17 anywhere from very small headwater streams for  
 18 nursery and spawning, all the way out to the open  
 19 ocean and they also need a landscape or a river  
 20 scape that contains intact and functioning  
 21 wetlands and forests and some of the more recent  
 22 research shows that they actually benefit greatly  
 23 from having some co-evolved native species with  
 24 them such as river herrings.

25 So historically the Penobscot River wasn't

1 really a salmon river. It contained 11 species of  
 2 sea-run fish but by far the most abundant were  
 3 alewife. It was really an alewife or a river  
 4 herring river that had some salmon in it. Some  
 5 estimates of historic abundance were as high as 20  
 6 million alewife that were produced per year or  
 7 were spawned per year, three to five million  
 8 American shad, maybe upwards to around 75 to  
 9 100,000 Atlantic salmon and a whole bunch of other  
 10 species, too, two species of sturgeon, sea  
 11 lamprey, American eel, striped bass, tomcod,  
 12 brook trout and so on; and of course the original  
 13 fisheries were harvested sustainably by Native  
 14 Americans, of course the definition of  
 15 sustainable, they didn't consume the resources  
 16 faster than could be replenished annually by  
 17 nature and they didn't produce more waste than  
 18 could be detoxified or assimilated by nature. And  
 19 of course salmon and many other of these  
 20 species --

21 MR. RAYBACK: Mr. Chairman, I apologize  
 22 for objecting. Maybe Dr. Coghlan doesn't know the  
 23 rule but this is all new material that was not in  
 24 his slides or in his material that was pre-filed.  
 25 This is the third slide that we hadn't -- with

1 material that we haven't seen before.

2 MR. COGHLAN: Can I respond? All of these  
 3 references were actually in the original material.  
 4 The actual pictures aren't.

5 CHAIRMAN PARKER: The rules are that if  
 6 you're going to use a slide for part of your  
 7 testimony it has to be provided to the other  
 8 parties involved. So try to stay with the slides  
 9 that are actually in your testimony or be just a  
 10 very quick summary.

11 MR. COGHLAN: Okay, sure. Very briefly,  
 12 fisheries declined for a variety of reasons,  
 13 damming, pollution, deforestation, wetland  
 14 destruction, overfishing and urbanization.

15 THE REPORTER: Excuse me, you have to slow  
 16 down.

17 CHAIRMAN PARKER: Not that quick.

18 MR. COGHLAN: Okay. Damming, pollution,  
 19 deforestation, wetland destruction, overfishing  
 20 and urbanization, which were described in the  
 21 sources that I referenced in my original  
 22 testimony.

23 Salmon are on the brink of extinction in  
 24 the United States and --

25 MR. RAYBACK: Mr. Chairman, this map, for

1 example --

2 CHAIRMAN PARKER: Was this in your  
 3 testimony?

4 MR. COGHLAN: This was referenced to by  
 5 the website from NOAA and the National Marine  
 6 Fisheries Service.

7 CHAIRMAN PARKER: No, not references and  
 8 not web sites. It has to be in your testimony.

9 MR. COGHLAN: Okay. So to summarize --

10 CHAIRMAN PARKER: How many more slides do  
 11 you have?

12 MR. COGHLAN: About 30 slides.

13 CHAIRMAN PARKER: Were they included in  
 14 your testimony in your presentation?

15 MR. COGHLAN: The references were but the  
 16 images were not.

17 CHAIRMAN PARKER: Okay, well, the images  
 18 we're not going to allow.

19 MR. COGHLAN: Okay. So the important  
 20 parts of this --

21 CHAIRMAN PARKER: Ones sort of like that,  
 22 yes, because that's general but not the other  
 23 pictorial ones because they haven't been provided  
 24 to everyone.

25 MR. COGHLAN: Sure. So to summarize, the



1 importance of the Penobscot River to Atlantic  
 2 salmon, first of all, Maine harbors the last  
 3 remaining wild population of Atlantic salmon in  
 4 the U.S., the Penobscot River is home to the  
 5 largest river-specific stock and of course all  
 6 stocks but also the Penobscot River are on the  
 7 brink of extinction, and of all Maine rivers, the  
 8 Penobscot River contains the most and highest  
 9 quality habitat for all freshwater life stages,  
 10 and as we heard in previous testimony, the  
 11 federally-designated critical habitat for Atlantic  
 12 salmon extends throughout the Penobscot River  
 13 watershed and portions of the JRL property are  
 14 located within that critical habitat. So I will  
 15 not show that.

16         Aside from the actual property, some of  
 17 the property occurring on federally-protected  
 18 critical habitat, there's also critical habitat  
 19 located downstream in the mainstem and so we heard  
 20 testimony earlier in the written testimony that  
 21 leachate that is processed at one of those two  
 22 treatment plants, either the Old Town mill -- the  
 23 Old Town plant or the Brewer wastewater treatment  
 24 plant, the effluent would be discharged directly  
 25 into the Penobscot River mainstem so that's also

1 critical habitat for Atlantic salmon and it's also  
 2 critical habitat or proposed critical habitat for  
 3 the protected fish.

4         And so one of my first criticisms of the  
 5 application is the language conveys confidence,  
 6 and in my opinion some overconfidence, of  
 7 non-impact to fish and their habitats. So, for  
 8 example, one quote is Volume 5, page 8, "this  
 9 activity will not unreasonably harm any  
 10 significant wildlife habitat, freshwater wetland  
 11 plant habitat, threatened or endangered plant  
 12 habitat, aquatic or adjacent upland habitat,  
 13 travel corridor, freshwater, estuarine or marine  
 14 fisheries or other aquatic life." Another  
 15 example, these watersheds, that is, containing  
 16 critical habitat, will not be affected by the  
 17 expansion, and another one, a portion of the  
 18 expansion area occurs within the broad area  
 19 designated as critical habitat for Atlantic  
 20 salmon, salmo salar, listed under the Endangered  
 21 Species Act, ESA but the onsite wetlands do not  
 22 contain any streams that would provide Atlantic  
 23 salmon habitat. We've already heard this  
 24 testimony in a few places.

25         There's another case about the habitat

1 where the application seems to misidentify some  
 2 professional opinion. A quote here which is from  
 3 Volume 1, page 1453, based on a review of the  
 4 SWPPP, prepared by the prior owner/operator of the  
 5 JRL, parenthetically best judgment, criteria D of  
 6 addendum A of the MSGP, there is no reason to  
 7 believe that there would be adverse impacts to  
 8 endangered species due to stormwater discharge at  
 9 the site. A letter requesting a review and  
 10 confirmation of no impacts on listed or eligible  
 11 species or critical habitat was requested from the  
 12 Maine Department of Inland Fisheries and Wildlife,  
 13 a copy of the response is included in attachment  
 14 12, and if you look at attachment 12, that's  
 15 actually a letter from the assistant regional  
 16 wildlife biologist, Allen Starr. It doesn't  
 17 contain any sort of confirmation that Atlantic  
 18 salmon would not be affected and it doesn't even  
 19 reference Atlantic salmon or their critical  
 20 habitat. It references essential bird habitat.

21         So it seems that the conclusions in the  
 22 application of nonimpact are based on the premise  
 23 that because Atlantic salmon don't live in the  
 24 streams that are actually flowing through JRL  
 25 property they cannot be impacted. So I have a few

1 criticisms for this. Well, first, it ignores a  
 2 lot of fundamental biophysical principles. I've  
 3 mentioned the four laws of ecology in my  
 4 testimony, viewing the watershed and the ecosystem  
 5 as a series of interconnections, what happens in  
 6 one part of a watershed or an ecosystem can affect  
 7 other components in other places. It doesn't  
 8 address the downstream leachate effluent, it  
 9 considers impact as a binary outcome. There's a  
 10 dichotomy between impact versus nonimpact and in  
 11 reality, impacts can range anywhere from nothing  
 12 to trivial up to very severe. And of course any  
 13 time we, as people or society, assigns some risk,  
 14 that's influenced by subjective values that, in  
 15 this case, with regard to risk to and our  
 16 perceived value of salmon and their habitat. If  
 17 we happen to hold salmon in high regard and value  
 18 them, maybe we're less tolerant of risk; if we  
 19 happen to not value salmon quite as much, maybe  
 20 we're more tolerant of risk; and of course it  
 21 assumes that there's no catastrophic failure of  
 22 technology and no unanticipated weather events  
 23 that could contaminate surface water or  
 24 groundwater and eventually into the Penobscot  
 25 River.

1 And then a point that Ed Spencer had  
 2 talked about earlier, there was actually no formal  
 3 ESA review conducted in coordination with the U.S.  
 4 Fish and Wildlife Service, and then there's a  
 5 statement from the pre-filed rebuttal testimony to  
 6 my testimony that said it is also noteworthy that  
 7 Atlantic salmon are not a state listed threatened  
 8 or endangered species as defined in the Maine  
 9 Endangered Species Act or Maine's Marine  
 10 Endangered Species Act. On the basis of this  
 11 information alone, I believe the statements made  
 12 in the application are contrary to my testimony,  
 13 Mr. Coghlan's testimony, sorry, reasonable. Well,  
 14 the decision to list species under the federal ESA  
 15 is based on science, the preponderance of  
 16 evidence. The decision not to list species under  
 17 state ESAs often are based on nonscientific  
 18 criteria.

19 MR. RAYBACK: Mr. Chairman, this is more  
 20 material that is not in his pre-filed written  
 21 testimony. There's not a discussion in the  
 22 pre-filed testimony about the federal ESA and how  
 23 species are listed.

24 MR. COGHLAN: I'm responding to rebuttal  
 25 testimony.

1 MR. RAYBACK: There is also not a -- well,  
 2 our presentations are not allowed to respond to  
 3 the oral testimony; they're supposed to respond --  
 4 be summaries of our written testimony.

5 CHAIRMAN PARKER: Stay with your pre-filed  
 6 testimony.

7 MR. COGHLAN: So I think that we should  
 8 also consider downstream effects on other  
 9 protected fish. So also included in the  
 10 application was a letter from the U.S. Department  
 11 of the Interior, U.S. Fish and Wildlife Service,  
 12 Volume 1, page 600, states that species on this  
 13 list should be considered in an effects analysis  
 14 for your project and could include species that  
 15 exist in another geographic area; for example,  
 16 certain fish may appear on the species list  
 17 because a project could affect downstream species.  
 18 Well, there weren't any other protected fish that  
 19 were considered on the list that was submitted and  
 20 there was also no mention of downstream impacts of  
 21 leachate effluent, and I won't show the next  
 22 slides but they show distribution maps of those  
 23 two other species which we've already talked  
 24 about. So another federally-listed species listed  
 25 as threatened is the Atlantic sturgeon and the

1 Gulf of Maine distinct population segment is  
 2 protected under the Federal Endangered Species Act  
 3 and they occur in the mainstem river which would  
 4 be in very close proximity to where leachate from  
 5 the Brewer treatment plant would be released and  
 6 then there's also short-nosed sturgeon which are  
 7 listed under the Federal Endangered Species Act  
 8 range wide, not just in the Penobscot River, and  
 9 they occur in similar habitat.

10 Please ignore the next two slides. So  
 11 with the leachate effluent, Volume 3, page 55  
 12 states that with the anticipated slight increase  
 13 in leachate flows as a result of the expansion,  
 14 that is, 48,000 average and 57,500 peak month,  
 15 slightly more leachate will need to be hauled from  
 16 the site. Well, if you do the math, that's an  
 17 increase in the average leachate hauled from  
 18 40,000 up to 48,000 and the effluent released then  
 19 would also be up by 20 percent. We could  
 20 certainly argue about how much is "slight." I  
 21 probably wouldn't consider that slight.

22 We also know that the leachate contains or  
 23 could contain chemicals of known toxicity to  
 24 Atlantic salmon, other fish and other life forms.  
 25 Arsenic, lead and PCBs are just three of the

1 biggies and certainly effects could be lethal,  
 2 outright death but there could also be a lot of --  
 3 MR. RAYBACK: Objection, Mr. Chairman.

4 This material is not in the pre-filed direct  
 5 testimony. Sorry to keep interrupting but we  
 6 worked very hard to keep our witnesses on task.  
 7 If I'm wrong about this, I apologize but I don't  
 8 recall seeing this material.

9 MR. COGHLAN: I mentioned the toxicity in  
 10 general or specifically of paper sludge effluent  
 11 and referenced the Clean Water Act.

12 CHAIRMAN PARKER: I'd say your reference  
 13 to Brewer and your 20 percent is allowable.

14 MR. COGHLAN: Okay.

15 MR. RAYBACK: That's certainly in there  
 16 but the specific heavy metals, these constituents  
 17 I don't believe are discussed.

18 MR. COGHLAN: Sure. I'd also mention that  
 19 Atlantic sturgeon are in the mainstem river which  
 20 is close to the proximity and there are many  
 21 unknowns when we're trying to think about effects  
 22 of this -- potential effects of this leachate. We  
 23 don't know what the concentration and the volumes  
 24 of those toxins are, we don't know how long they  
 25 reside in the river, we don't know what the

1 exposure time to fish would be, we don't know  
 2 other chemicals constituents, we don't know how  
 3 those chemical constituents interact with each  
 4 other, and there's no guarantee that simply  
 5 conforming to some effluent permitting --

6 MR. RAYBACK: Mr. Chairman, I'm sorry,  
 7 it's more of the same.

8 CHAIRMAN PARKER: I'm going to ask the  
 9 witness to reference his information.

10 MR. COGLAN: Sure. Could I get my  
 11 testimony up here so I make sure I have it in  
 12 front of me?

13 CHAIRMAN PARKER: Get your testimony up  
 14 here and reference it.

15 MR. COGLAN: Thank you, sure.

16 CHAIRMAN PARKER: Some of what you're  
 17 saying is in there and some isn't.

18 MR. COGLAN: Which shows my ignorance of  
 19 matters. I was proceeding as a scientist trying  
 20 to convey information and I apologize. So I have  
 21 this in front of me.

22 CHAIRMAN PARKER: The rules are that  
 23 anyone who wants to cross examine you has to have  
 24 had in their hand the testimony.

25 MR. COGLAN: Absolutely. So the

1 downstream with three species of importance and we  
 2 see shifts in river resident communities.

3 So the questions that I have posed that  
 4 are directly in this testimony are, first, should  
 5 we consider potential effects on alewife  
 6 populations who have returned this year to Pushaw  
 7 Stream and Pushaw Lake in the hundreds of  
 8 thousands to spawn and likely will return in the  
 9 millions? Should we consider potential effects on  
 10 fish-eating birds that are drawn to both Pushaw  
 11 and the mainstem Penobscot by alewife and sea  
 12 lamprey runs that are in close proximity to  
 13 high-quality nesting habitat around the periphery  
 14 of Juniper Ridge property? Should we view  
 15 wetlands and vernal pools to be destroyed as parts  
 16 of an interconnected watershed beginning to  
 17 recover after centuries of over exploitation? Is  
 18 it counterproductive to increase pollution load in  
 19 one part of the watershed while trying to decrease  
 20 pollution in much of the rest? Is it contrary to  
 21 the stated goals and objectives of the PRRP to  
 22 expand the landfill? Well, I would and I have  
 23 answered yes to all those questions. Digging a  
 24 larger hole and dumping more trash in a landfill  
 25 located in such close proximity to the Penobscot

1 Penobscot River Restoration Project is a  
 2 nationally-recognized, holistic ecologically-based  
 3 attempt to restore declining or nearly extinct  
 4 native fish through the removal of two mainstem  
 5 dams and also improve fish passage at several  
 6 other dams. Before the Penobscot River  
 7 Restoration Project came online a few years ago  
 8 most sea-run fish were relegated to the lower  
 9 reaches and with the removal of these dams and the  
 10 improved fish passage, now fish have more --  
 11 better access to most of their historic spawning  
 12 and rearing habitat.

13 And so I'm trying to think about the JRL  
 14 expansion in context of rehabilitating and  
 15 restoring some of this original river habitat, and  
 16 so some of the current research which I have been  
 17 participating in for about ten years and have  
 18 referenced in my testimony here shows some  
 19 immediate effects of dam removals that happen to  
 20 be unfolding right before our eyes. We see  
 21 increased abundance of alewife, blueback herring,  
 22 American shad throughout the river. We see  
 23 reproduction of these species, some of them for  
 24 the first time in hundreds of years upstream, we  
 25 see recolonization of newly-accessible habitat

1 River and also releasing more leachate effluent  
 2 downstream directly into the river does run  
 3 contrary to watershed-wide efforts to restore a  
 4 river with a long history of misuse and abuse.  
 5 And now I want to go to my last major  
 6 point, is the Juniper Ridge Landfill expansion in  
 7 the context of anthropogenic climate change, ACC,  
 8 also known as global warming? And I stated pretty  
 9 bluntly that a glaring and inexcusable omission  
 10 throughout the entirety of this application is the  
 11 failure to consider and -- acknowledge and  
 12 consider anthropogenic climate change specifically  
 13 in performance of expanded JRL facilities and  
 14 generally in longer term waste management  
 15 planning, and I won't speak about the latter  
 16 because that was redacted from the earlier  
 17 testimony.

18 And I'm basing the information that I had  
 19 presented on the state of the climate science  
 20 based on references that I gave in the testimony  
 21 here so, for example, a few papers written by Dr.  
 22 James Hanson, who is a professor at Columbia  
 23 University and who is also the former director of  
 24 the NASA Goddard Institute for Space -- Goddard  
 25 Space Institute, sorry, I don't have the name

1 quite off the tip of my tongue, and I do work -- I  
 2 have colleagues at the University of Maine who  
 3 work in the Climate Change Institute. I stay  
 4 abreast on the current literature because I do  
 5 teach this topic in my classes and I try to be  
 6 conversant. So I'm not a climatologist but I hope  
 7 to convey at least what I understand to be the  
 8 state of the climate.

9 So the summary that I have of climate  
 10 change that is relevant to this expansion, first  
 11 of all, the signal of warming has been discernible  
 12 from the noise and variability since 1988 when Dr.  
 13 Hanson gave his first testimony in front of  
 14 Congress. The observed warming, the actual data  
 15 we've seen, plus other changes in the climate  
 16 system have generally occurred faster than earlier  
 17 models have predicted. Just the basic physics,  
 18 warming makes the atmosphere able -- capable of  
 19 holding more water and also evaporates more water  
 20 which would lead to more extreme precipitation  
 21 events. Global warming has disrupted oceanic and  
 22 atmospheric circulation which leads to  
 23 predictability, more instability and many climate  
 24 scientists warn that we are approaching or already  
 25 have exceeded a tipping point into runaway climate

1 change.

2 The next slide I'll show -- I will not  
 3 show because it does show actual data that I  
 4 didn't include as a figure that Maine's  
 5 precipitation has actually increased significantly  
 6 over the last 70 to 80 years and it also shows --

7 MR. RAYBACK: Mr. Chairman, if we're not  
 8 going to show the slide because it's not in his  
 9 testimony, he shouldn't be testifying about it.

10 CHAIRMAN PARKER: I think he's in context  
 11 with his testimony right now in the paragraph --  
 12 the center of page 11.

13 MR. RAYBACK: He just said that he was not  
 14 going to -- I'm sorry, I apologize for  
 15 interrupting you -- he just said, and I know  
 16 you're trying to look through the testimony like I  
 17 am, he just said that he's not going to show us  
 18 the next slide because it contains his own data,  
 19 and then I believe he started to tell us what the  
 20 data was.

21 MR. COGHLAN: It doesn't contain my own  
 22 data.

23 MR. RAYBACK: I apologize, if he could  
 24 show us where it is in his testimony, that would  
 25 be ideal.

1 MR. COGHLAN: I reference increasing  
 2 precipitation and increasing frequency of extreme  
 3 precipitation events. There was then rebuttal  
 4 testimony that said I did not provide any data in  
 5 support of that. I was under the assumption that  
 6 the applicant would have the burden of proof to  
 7 actually do the research so I have directed you to  
 8 or the applicant to places where you can actually  
 9 see the data.

10 MR. RAYBACK: We -- we can't use the oral  
 11 testimony here today to respond. It's not a sur  
 12 reply to the rebuttal testimony.

13 CHAIRMAN PARKER: Mr. Coghlan, I'd suggest  
 14 you stick to page 11 of your pre-filed testimony  
 15 and don't wander far beyond that.

16 MR. COGHLAN: Absolutely. So nationwide  
 17 extreme probability of once rare extreme  
 18 precipitation events have increased. What once  
 19 were considered a very low probability event, for  
 20 example, a once in 500 year flood which would be  
 21 expected to occur zero point or zero --

22 CHAIRMAN PARKER: Can you show me where  
 23 that is in your testimony?

24 MR. COGHLAN: Sure.

25 MR. SPENCER: Bottom of page 11.

1 CHAIRMAN PARKER: I think maybe I found  
 2 it, okay.

3 MR. COGHLAN: And also part of the  
 4 reference to Dr. Hanson.

5 CHAIRMAN PARKER: Page 11?

6 MR. COGHLAN: The top of page Hanson (sic)  
 7 where I reference Dr. Hanson's paper and also his  
 8 video and also the bottom where I talk --

9 CHAIRMAN PARKER: I found that, that's on  
 10 page 11. Okay, continue.

11 MR. COGHLAN: Sure. So a storm event, for  
 12 example, that used to under the old climate regime  
 13 that would have a probability of occurring, say,  
 14 0.2 percent of the time, this is once in a  
 15 500-year storm, the probability of those storms  
 16 has actually increased.

17 And I will not talk about that. Any  
 18 prediction of future landfill performance in  
 19 withstanding extreme rainfall events and flooding  
 20 should consider shifts in the magnitude and the  
 21 frequency of storms and flood risks that are  
 22 associated with the rapidly changing unpredictable  
 23 climate, and as I noted, the application out of  
 24 thousands of pages does not actually address or  
 25 account for the effects of global warming.

1 And we've already reviewed this earlier,  
2 but for example, Volume 1 states that, as shown on  
3 the site surrounding maps, etcetera, etcetera, the  
4 expansion is not located in a 100-year floodplain,  
5 etcetera, goes on to reference a 25-year storm  
6 event, and this type of conclusion is troubling  
7 because it is based on the assumption that future  
8 precipitation and runoff events and the flood  
9 risks are the same as those that we've experienced  
10 in the past but all evidence suggests that the  
11 future is likely to be more extreme than the  
12 present.

13 We've already discussed this. That just  
14 shows the map with the floodplain delineation on  
15 it and I've just highlighted the lower section  
16 that says it was based upon --

17 MR. RAYBACK: Mr. Chairman, this is not in  
18 his testimony.

19 MR. COGHLAN: It's your map.

20 MR. RAYBACK: I understand it's our map.

21 CHAIRMAN PARKER: Take off the exhibit.  
22 His testimony is almost verbatim to what he's  
23 saying. The exhibit may not have been included,  
24 so take off the exhibit and continue with your  
25 testimony.

1 100-year or even once in 500-year storms? Does  
2 failure to account for changing patterns in  
3 precipitation and encroachment of floodplains that  
4 are consistent with global warming render these  
5 conclusions overly optimistic and underestimate  
6 the risk of a catastrophic breaching or runoff  
7 event?

8 So I would argue that global warming  
9 should impel us to re-evaluate the risks that are  
10 associated to fish and wildlife. Atlantic salmon  
11 are cold-adapted fish in the southern end of the  
12 geographic range and are especially vulnerable to  
13 warming, individuals and populations are less  
14 resilient and they're more susceptible to  
15 stressors under a warmer, more hydrologically  
16 variable climate regime. So fish might be able to  
17 withstand small amounts of watershed disturbance  
18 or toxic chemical runoff under optimal conditions  
19 of temperature and flow. The tolerance to those  
20 stressors would decline if other stressors like  
21 high temperature had already compromised their  
22 metabolic performance.

23 And that's all that I have. Thank you  
24 very much, and I apologize.

25 CHAIRMAN PARKER: Thank you. Right now

1 MR. COGHLAN: I'm sorry, I was referring  
2 to an exhibit that was in the application.

3 CHAIRMAN PARKER: Was it in the  
4 application? Continue.

5 MR. COGHLAN: Sure, and if you notice,  
6 down at the bottom right-hand side it does say  
7 that that map is based upon a FEMA Old Town quad  
8 from April 1978 and that's a full decade earlier  
9 than Dr. Hanson's first testimony about the signal  
10 of warming being obvious.

11 So I would argue that assessing the risk  
12 of flooding in the 2020s and beyond based upon  
13 floodplains delineated from 40-plus years earlier  
14 that have not been adjusted for global warming is  
15 misleading and risky.

16 So I pose the question, shouldn't we  
17 consider the possibility that the increased  
18 likelihood of extreme flooding in the near future  
19 makes this floodplain delineation obsolete and the  
20 future floodplain might actually encroach  
21 upgradient and threaten the integrity of any  
22 containment structures nearby. If the frequency  
23 and magnitude of storms increase, shouldn't we  
24 anticipate for more extreme events with greater  
25 frequency such as what once would be considered

1 we'll open it up to some cross examination by the  
2 applicant.

3 MR. RAYBACK: Thank you. Dr. Coghlan, on  
4 page 5 of your testimony, you say that the liquid  
5 leachate from JRL that goes to either the Old Town  
6 or City of Brewer wastewater treatment plants is  
7 discharged directly into the Penobscot River. I  
8 noticed a couple of times today that you changed  
9 the phrasing of that to say the effluent is  
10 discharged directly.

11 MR. COGHLAN: The effluent, yes.

12 MR. RAYBACK: Is that correct?

13 MR. COGHLAN: After being processed. As  
14 far as I know, it's not discharged directly, yes.  
15 I apologize.

16 MR. RAYBACK: Okay, thank you. That's a  
17 distinction that matters legally?

18 MR. COGHLAN: Absolutely, absolutely.

19 MR. RAYBACK: Thank you. All right, you  
20 also take issue in your pre-filed written  
21 testimony with the characterization by the  
22 applicants that the increase in leachate from the  
23 expanded landfill to be treated is slight,  
24 correct?

25 MR. COGHLAN: We could argue about the

1 definition. I would consider it more than slight.  
2 MR. RAYBACK: In fact, you pointed out  
3 and, in fact, you had a slide on it that said it's  
4 going to be 8,000 gallons per day more on average,  
5 give or take, right?

6 MR. COGHLAN: That's what I got from the  
7 application.

8 MR RAYBACK: Okay. So could I show you,  
9 please, the -- I want to show you a treatment  
10 plant license and I'll walk you through it. You  
11 don't have to be an expert on legal and  
12 regulatory --

13 CHAIRMAN PARKER: Excuse me, was that in  
14 your testimony?

15 MR. RAYBACK: It's cross examination, sir,  
16 it doesn't have to be in the testimony. We can  
17 impeach with evidence that we have available. The  
18 Board can also take judicial notice of a DEP  
19 order.

20 CHAIRMAN PARKER: What's the relevance of  
21 it?

22 MR. RAYBACK: I'm going to try to compare  
23 the increase in landfill leachate to the total  
24 permitted flow through the Old Town treatment  
25 plant to put that number which he believes is

1 flow, could you read that, please?

2 MR. COGHLAN: 24.4, is that million  
3 gallons per day?

4 MR. RAYBACK: Yes, it is, yes, MGD is  
5 million gallons per day. So let's compare, and  
6 this is, Mr. Chairman, what I wanted to do here,  
7 is the increase in flow from the expansion -- this  
8 is the increase in leachate from the expansion  
9 which we said was 8,000 gallons per day on average  
10 to the permitted flow for this treatment plant,  
11 which is 24.4 million gallons per day, so I can't  
12 do that math in my head, Dr. Coghlan, maybe you  
13 can, but would you agree with me that the increase  
14 in flow is less than, say, one percent of the  
15 total permitted flow?

16 MR. SPENCER: I object. Can you hear me?  
17 Unless you want to compare the leachate numbers  
18 with the current flows, I think it's irrelevant to  
19 compare them to the total flow of a functioning  
20 paper mill which is not functioning.

21 MR. RAYBACK: Mr. Chairman, the relevance,  
22 in my view, is that the infrastructure exists to  
23 handle 24.4 million gallons.

24 CHAIRMAN PARKER: I think I'll sustain Mr.  
25 Spencer's position because the plant now does not

1 significant into context.

2 CHAIRMAN PARKER: I guess we'll listen to  
3 it.

4 MR. RAYBACK: Okay, thank you. And I'll  
5 talk you through --

6 MR. COGHLAN: Please.

7 MR. RAYBACK: -- what I'm looking at. All  
8 right, on page 5 of that license, and this is the  
9 license for the -- I'm sorry, let's start right at  
10 the top there just so that the Board hears this  
11 information. This is a Maine Pollutant Discharge  
12 Elimination System Permit and Waste Discharge  
13 License Renewal, correct? Do you see that in the  
14 top right of the caption?

15 MR. COGHLAN: Yes.

16 MR. RAYBACK: It's for Red Shield  
17 Acquisition, LLC, in Old Town, Maine?

18 MR. COGHLAN: Yes.

19 MR. RAYBACK: So if you would look with  
20 me, please, at page 5 of the license, there's a  
21 table here that I outlined in blue for you. Do  
22 you see in the left-hand column there are a number  
23 of parameters, one is -- the first one is flow?

24 MR. COGHLAN: Um-hum, yes.

25 MR. RAYBACK: And the monthly average for

1 discharge. There's not a 24 million gallon a day  
2 discharge. There is a 24 million gallon a day  
3 license and if you want to present us with what  
4 kind of numbers come out for an actual discharge  
5 now, then I think that would be relevant.

6 MR. RAYBACK: We'll move on, thank you.

7 All right, Dr. Coghlan, let's turn to the  
8 preservation package that the application proposes  
9 to compensate for impacts to wetlands and vernal  
10 pools.

11 MR. COGHLAN: Sure. Can you reference --

12 MR. RAYBACK: It's not in that license.  
13 We're done with that license.

14 MR. COGHLAN: Oh, okay, sure.

15 MR. RAYBACK: We're done with that  
16 license. On page 15 of your testimony you state  
17 that although preserving this landscape that is  
18 proposed for preservation certainly promotes the  
19 integrity and resilience of the Penobscot  
20 watershed, you don't agree that compensation  
21 equals preservation, correct?

22 MR. COGHLAN: Well, it's not -- the two  
23 definitions aren't equal. That's my opinion.

24 MR. RAYBACK: Is it -- so it's fair to say  
25 that you think preservation should not be an

1 acceptable means of compensation?  
 2 MR. COGHLAN: I think preservation is  
 3 better than nothing.  
 4 MR. RAYBACK: You are aware, aren't you,  
 5 that preservation is explicitly recognized as a  
 6 valid form of compensation under the DEP's rules?  
 7 MR. COGHLAN: I am. That was clear in the  
 8 rebuttal testimony, absolutely.  
 9 MR. RAYBACK: When you wrote your  
 10 testimony, were you aware of that?  
 11 MR. COGHLAN: Of the -- sorry -- the  
 12 statute regarding that preservation is equivalent  
 13 to compensation?  
 14 MR. RAYBACK: No, that preservation is  
 15 allowed as a form of compensation.  
 16 MR. COGHLAN: Oh, no, no, I'm sorry, you  
 17 are absolutely correct, yes. I did mention it in  
 18 here and the rebuttal did correct me. It's my  
 19 opinion which obviously does not conform to the  
 20 statutes, absolutely.  
 21 MR. RAYBACK: Okay. So when you said  
 22 that, when you said preservation doesn't equal  
 23 compensation, I recognize that's your view.  
 24 MR. COGHLAN: Sure, yeah.  
 25 MR. RAYBACK: But you weren't talking

1 that will be the public session. So we'll be  
 2 taking public testimony beginning at 6:00. So you  
 3 have an hour and 15 minutes to grab a bite to eat.  
 4 **(DINNER RECESS)**  
 5  
 6  
 7  
 8  
 9  
 10  
 11  
 12  
 13  
 14  
 15  
 16  
 17  
 18  
 19  
 20  
 21  
 22  
 23  
 24  
 25

1 about whether it complied with compensation rules  
 2 that the DEP has?  
 3 MR. COGHLAN: No, absolutely not,  
 4 absolutely not.  
 5 MR. RAYBACK: Okay, thank you. Nothing  
 6 further, Mr. Chair, thank you.  
 7 CHAIRMAN PARKER: What's that?  
 8 MR. RAYBACK: Nothing further, Mr. Chair,  
 9 thank you.  
 10 CHAIRMAN PARKER: Thank you and thank you  
 11 for speaking slowly so she could stay with us. Is  
 12 there any cross examination from the City of Old  
 13 Town?  
 14 MR. KATSIAFICAS: The City has no  
 15 questions for this witness.  
 16 CHAIRMAN PARKER: Mr. Snowman?  
 17 MR. SNOWMAN: No.  
 18 CHAIRMAN PARKER: Mr. Laite?  
 19 MR. LAITE: No.  
 20 CHAIRMAN PARKER: Any members of the  
 21 Board? Members of the staff? Well, thank you for  
 22 your testimony.  
 23 MR. COGHLAN: Thank you.  
 24 CHAIRMAN PARKER: We're going to, I  
 25 believe, adjourn now. We'll reconvene at 6:00 and

1 **EVENING SESSION**  
 2 **6:00 P.M.**  
 3 CHAIRMAN PARKER: Good evening. We've got  
 4 a long evening ahead of us so I want to get things  
 5 started a little bit. There are sign-up lists up  
 6 there and those that want either support or oppose  
 7 or neither for nor against, sign up on the sheets  
 8 and we'll gather them. I call this session of the  
 9 Board of Environmental Protection hearing on the  
 10 application of the Maine State Bureau of General  
 11 Services for a 9.35 million cubic yard expansion  
 12 of the Juniper Ridge Landfill in Old Town and  
 13 Alton. My name is Jim Parker, I'm from Veazie.  
 14 I'm chair of the Board and I'm the presiding  
 15 officer for this hearing. Other members of the  
 16 Board this evening are Tom Eastler, who's to the  
 17 left, beside him is Kathy -- he's from Farmington,  
 18 Kathy Chase from Wells, Jonathan Mapes from  
 19 Springvale, to my right is Alvin Ahlers from  
 20 Yarmouth, Tom Dobbins from Scarborough and Mark  
 21 Draper from Caribou. The Board -- right now we  
 22 have Mary Sauer, the assistant attorney general,  
 23 here beside me, she's counsel to the Board. To my  
 24 left is Cindy Bertocci. She's the Board's  
 25 executive analyst, and to the far left over there

1 is Ruth Ann Burke. She's the Board's  
 2 administrative assistant. We have DEP staff with  
 3 us tonight which we have Rich Behr, Steve Farrar,  
 4 Kathy Tarbuck, Victoria Eleftheriou, Dave Burns,  
 5 Jim Beyer -- Jim's not in his chair right now but  
 6 I think he's going to be here -- and Lynn Caron.  
 7 This hearing is being recorded by Joanne Alley.  
 8 She's from Alley & Morrisette Reporting, and I'll  
 9 caution you now and I'll caution you during your  
 10 presentation to speak clearly and slowly because  
 11 she has a very difficult job of trying to put this  
 12 down as a stenographer.

13 This hearing is being held by the Board  
 14 pursuant to the Maine Administrative Procedures  
 15 Act, Title 5, Sections 9051-9064, Department of  
 16 Environmental Protection statutes Title 38 MRSA  
 17 Sections 341-D(2) and 1310-S(2), and the  
 18 Department's Chapter 3 Rules Governing the Conduct  
 19 of Licensing Hearings.

20 Notice of the hearing was published in the  
 21 Bangor Daily News on September 17th and October  
 22 8th, 2016, notice was also sent to the parties,  
 23 all persons owning property abutting the landfill  
 24 site, affected municipalities, area legislators  
 25 and all persons on the Department's interested

1 persons list for this project.

2 Earlier today the Board heard testimony  
 3 from the applicant, State of Maine Bureau of  
 4 General Services and the applicant's landfill  
 5 operator, NEWSME, which operates the landfill.  
 6 The Board also heard testimony from Dr. Stephen  
 7 Coghlan, a witness for intervenor Edward Spencer.  
 8 Tomorrow morning we reconvene at 8:30 and the  
 9 Board will hear testimony from Mr. Spencer and the  
 10 City of Old Town. A copy of the pre-filed  
 11 testimony of these witnesses and the application  
 12 file are available here at the hearing for  
 13 inspection. Any person wanting to inspect the  
 14 file should speak to the DEP project manager Kathy  
 15 Tarbuck. The pre-filed testimony and application  
 16 files are also available online at the  
 17 Department's website.

18 The Bureau of General Services has filed  
 19 the application for a Solid Waste and Natural  
 20 Resources Protection Act permits for the proposed  
 21 expansion. The Board's consideration of the  
 22 project is limited to the licensing criteria for  
 23 the proposed expansion. A list of the relevant  
 24 licensing criteria can be found on the table by  
 25 the water station, that's up where you're signing

1 in if you want to speak, at the back of the room.  
 2 Relevant criteria include but are not limited to  
 3 the following matters: landfill siting, design  
 4 and operation, stormwater management, leachate  
 5 management, potential impacts to air and water  
 6 quality, water quality monitoring, noise, impacts  
 7 to protected natural resources, including  
 8 wetlands, and compliance with the State Solid  
 9 Waste Management Hierarchy. Please focus your  
 10 testimony on matters that the Board has the  
 11 authority to address in this licensing procedure.

12 For those who want to testify, there are  
 13 sign-up sheets which I just mentioned on the table  
 14 at the back of the room. There are separate  
 15 sheets for those in favor, those opposed and those  
 16 who really are not opposed or in favor, just want  
 17 to speak. If you haven't signed up, please do so.  
 18 I'll call on those who have signed up to testify.  
 19 When your name is called, please come to the  
 20 podium and identify yourself by name, place of  
 21 residence and affiliation. In order to move  
 22 things along, when I call the first person up, I  
 23 am going to also mention the name for the second  
 24 person so they can hopefully come along fairly  
 25 quickly so everybody has a good opportunity to

1 speak. Depending on the number of persons, and  
 2 there's quite a few here tonight, I want to give  
 3 everybody as much time as I can so at the start of  
 4 the hearing I'm going to limit people to a  
 5 five-minute presentation, okay? Something that  
 6 will help with the testimony so more people can  
 7 get their testimony heard if they want. If  
 8 someone has either come up and said exactly what  
 9 you want to say or something very similar to what  
 10 you want to say, paraphrasing, we're going to take  
 11 down your name and your record and position and  
 12 try to move things as quickly as you can. Again,  
 13 I'm going to keep people on the subject so we  
 14 don't get wandering too far off.

15 With that said, I'm going to have Kathy  
 16 Tarbuck from the DEP give you a brief overview of  
 17 what this licensing procedure is addressing.

18 MS. TARBUCK: Good evening. So my name is  
 19 Kathy Tarbuck, as mentioned, and I work at the  
 20 Maine DEP in the Bureau of Remediation and Waste  
 21 Management. One of my roles is project manager  
 22 for the Juniper Ridge Landfill expansion  
 23 application. I will give a very brief general  
 24 overview of the facility and the proposed  
 25 expansion application for informational purposes.



1 I will not be delving into the specifics of the  
2 application and I only have four slides other than  
3 this one and they're all also on the back over  
4 there so if you have trouble seeing this or you  
5 want to see it in a little bit more detail, feel  
6 free to look at them over there.

7 So the solid waste landfill is located on  
8 a 780-acre parcel in Old Town and Alton. The  
9 state acquired the facility in 2004. NEWSME  
10 Landfill Operations, LLC, operates the landfill  
11 for the state under the terms of an Operating  
12 Service Agreement which was signed in 2004 between  
13 Casella Waste Systems, Inc., and the State of  
14 Maine acting now through the Bureau of General  
15 Services.

16 The existing permitted solid waste  
17 footprint of the landfill is approximately 68  
18 acres which you can see on this slide. This  
19 portion here, 68 acres. A public benefit  
20 determination was issued in January of 2012 for a  
21 9.35 million cubic yard landfill expansion. As a  
22 result of the public benefit determination the  
23 applicant submitted Natural Resources Protection  
24 Act and solid waste applications which were  
25 accepted for processing in August of 2015. The

1 Board took jurisdiction of the applications in  
2 September of 2015. The proposed expansion with an  
3 approximately 54-acre footprint is denoted by the  
4 outlined area on this slide. I don't know if you  
5 can see it, but here it is here. So that's 54  
6 acres. The expansion proposal also includes 20  
7 acres of infrastructure, including roads, scales,  
8 buildings and sedimentation ponds.

9 In general, landfill sites are developed  
10 in distinct areas of the facility in a phased  
11 manner. These areas are denoted as cells and I  
12 just want to mention that the orientation of the  
13 other map north was up and this map north is  
14 actually kind of to my left. Note that this  
15 diagram -- this diagram is in a different  
16 orientation. Cells 1 through 10 are currently  
17 permitted, cell 9 was constructed in 2015 and cell  
18 10 is not yet constructed. So here are cells 1  
19 through 10. Cells 11 through 16 are proposed in  
20 the expansion application and, again, here's the  
21 proposal. The specific technical details for each  
22 cell are submitted for approval for initial  
23 construction, operation and closure.

24 This slide shows the area of the 2014/2015  
25 wetland survey for the proposed expansion. The

1 black line shows the proposed expansion area and  
2 the red line shows the area of the most recent  
3 survey. So here's the expansion area and then the  
4 red line which includes that, so up here and also  
5 in the corner, was the wetland survey. The blue  
6 denotes the 2014/2015 delineated wetlands right  
7 here, as you can see, and the pink circles denote  
8 the vernal pools and the significant vernal pools  
9 and these are much harder to see, but, again,  
10 they're throughout here and you can see it a  
11 little bit clearer if you want to check out the  
12 diagrams in the back.

13 This last slide shows the proposed  
14 266-acre preservation parcel hashed out in the  
15 orange/red, which is up here, as part of the  
16 wetland compensation plan. The proposed  
17 compensation plan was submitted as part of the  
18 Natural Resources Protection Act application to  
19 compensate for the wetland and vernal pool buffer  
20 impacts associated with the proposed landfill  
21 expansion, and that concludes the very brief  
22 overview and thanks.

23 CHAIRMAN PARKER: Someone has left a  
24 recorder on the shelf up here which is off. If  
25 they want to record it, they can come take it and

1 take it back to their seat and record it if they  
2 choose to. Anybody recognize it? Put it on the  
3 table, that's where the people are going to speak.

4 As I said, I'm going to try to move this  
5 along fairly quickly tonight. I'm going to  
6 hopefully try to keep everybody within a  
7 five-minute time period. So try to be concise and  
8 to the point. We have so far somewhere around 45  
9 people, and there may be some more that have  
10 signed up, so we have a pretty big group that  
11 wants to speak tonight. I want them all to have  
12 their opportunity to speak. If for some reason  
13 the meeting just drags on too long and it gets to  
14 where it's becoming less productive and we close  
15 the meeting tonight, those who haven't spoken and  
16 have signed up on the sheets, we'll have a public  
17 comment session available -- time tomorrow again  
18 at 1:00 in the afternoon. So hopefully we'll all  
19 make it tonight, but if you don't, there will be  
20 additional time issued for tomorrow.

21 I'm going to start and as I say, we have  
22 those opposed and those in support. I'm going to  
23 start with some of the support testimony. As I  
24 said, I'm going to call the first name and the  
25 second name and then I'll call them so hopefully

1 we can keep coming up so that we don't have to  
2 spend a lot of time for people to get out of their  
3 chairs and move through the crowd or whatever.

4 The first person to speak is Rich Geisser  
5 and the second person to speak would be Tracy  
6 Flagg.

7 MR. GEISSER: Are we good to go?

8 CHAIRMAN PARKER: Go for it. The floor is  
9 yours.

10 MR. GEISSER: Well, first off, thank you,  
11 thank the Board members for the opportunity to  
12 come and speak on behalf or support of the  
13 expansion. My name is Rich Geisser, I'm a  
14 division manager for ReEnergy. Actually ReEnergy  
15 is a company that has both a recycling division  
16 which I manage for the company which has four C&D  
17 recycling facilities, one in Maine, Lewiston,  
18 Maine, two in southern New Hampshire and one in  
19 Massachusetts. We acquired the company from  
20 Casella, the former KTI Biofuels Company a little  
21 over three years ago in August of 2013. We've  
22 developed a very strong relationship with or  
23 partnership with the City of Lewiston, working  
24 with the City of Lewiston. We pay them a fair  
25 amount of money in taxes, we provide them free

1 disposal for the right to locate our facility in  
2 their city and we also lease the property from the  
3 City of Lewiston. All totaled, their benefit by  
4 having us there operating our facility in the City  
5 of Lewiston is close to 300,000.

6 Today we employ between 30 and 40 people  
7 at our site, mostly local folks that live and  
8 reside in the Lewiston area. The reason the  
9 difference between 30 and 40 is C&D -- the  
10 generation of C&D can be somewhat seasonal, and so  
11 at the high points we're closer to 40, where  
12 normal operation we're closer to 30.

13 Since we acquired the site in 2013, given  
14 that we have other facilities that are part of our  
15 system, we've actually redirected some of the  
16 material that had been coming into the facility so  
17 we've seen a shrinkage of out-of-state waste  
18 coming to our facility of about seven percent. In  
19 addition to that, ReEnergy is very committed to  
20 recycling, zero waste disposal and through the  
21 investment of technologies from some of our other  
22 sites and also through capital investment, we've  
23 been able to move the needle on recycling from a  
24 number of 73 percent that was reported to DEP back  
25 in 2014 and in 2016 we're currently on target for

1 just about 76 percent recycling. You know, it's a  
2 modest improvement from 73 to 76.

3 Some of the other additional things that  
4 we're looking to do this year as we continue to  
5 increase the amount of recycling that we do and  
6 reduce the amount of material that ultimately goes  
7 to landfill is we're actively looking at a  
8 mattress recycling program working with some folks  
9 in the Massachusetts market. We currently collect  
10 and segregate approximately 12,000 mattresses a  
11 year. We're also looking at carpeting recycling  
12 within the State of Maine and also some additional  
13 technology and improvements to recover additional  
14 metals and also aggregates. We'll do some  
15 programs to increase the quantity of mixed rigid  
16 plastics and cardboard. Actually we're looking to  
17 do that in partnership with the Casella folks down  
18 the street in Lewiston at their zero sort  
19 facility.

20 Why is Juniper Ridge important to us?  
21 When we looked to buy this facility three years  
22 ago -- excuse me, just a tad over three years ago,  
23 knowing that or believing that we had a disposal  
24 site available to us was critical to us making the  
25 decision to invest in the facility. In addition

1 to bringing our oversize bulky waste to that  
2 facility, oversize bulky waste is typically -- we  
3 call it at our other facilities difficult to  
4 manage waste, those things which have very limited  
5 recycling capability. Some of the things that it  
6 includes is mattresses and carpeting, which we  
7 spoke about earlier, that we will be initiating  
8 programs to look to take that out of the OBW waste  
9 stream and recycle that.

10 In addition to that, it's also the home  
11 for our fines. Our fines material, they're used  
12 at the Juniper Ridge Landfill, it's used  
13 beneficially for alternate daily cover. So having  
14 that site available to us for the use of fines  
15 beneficially for alternate daily cover and also  
16 for the disposal of oversize bulky waste was an  
17 integral part of our decision to move forward with  
18 acquisition of that site in partnership with the  
19 City of Lewiston.

20 In preparing for today's opportunity to  
21 comment, I did note that on the public benefit  
22 determination that came out in 2012 that there was  
23 some discussion relative to limiting oversize  
24 bulky waste. I will say to the Board that we are  
25 -- our goal is to limit the amount of oversize

1 bulky waste that comes in. We've seen that  
 2 reduced since that time that we've accepted --  
 3 taken ownership of the facility, we're continuing  
 4 to work on that to reduce that; however, what we  
 5 see with this uptick in economic activity, there's  
 6 more and more C&D generated. There's more and  
 7 more C&D that's going to be available for  
 8 recycling at our facility and although the  
 9 recycling rate won't change and will only get  
 10 better through investment and technology to  
 11 recover more material, is that we feel that  
 12 putting an arbitrary limit on the amount of  
 13 oversize bulky waste would restrict our ability to  
 14 grow with the improving economy.

15 I'd like to thank you for the ability to  
 16 speak and any questions?

17 CHAIRMAN PARKER: Thank you.

18 MR. GEISSER: Thank you.

19 CHAIRMAN PARKER: Tracy Flagg and the next  
 20 one to speak after Tracy is Scott Adams. You can  
 21 actually come down and sit at the table and be  
 22 ready if you'd like.

23 We have one more little technicality I  
 24 suppose we should take care of. Would everyone  
 25 who's going to testify please stand up? And even

1 we're here to educate. We're not looking to just  
 2 fill the landfill. We truly do want to help, like  
 3 I said, educate people on what they can do. You  
 4 know, it's a gratification -- instant  
 5 gratification world and we go through the  
 6 drive-thrus and we don't think about it and we  
 7 throw that stuff in the trash cans and stuff but  
 8 we want people to think about it. We want them to  
 9 know that there are other ways. It always makes  
 10 me smile to see the little kids when you tell them  
 11 that the hat they're wearing or maybe the coat was  
 12 once their plastic bottle of water they're  
 13 drinking out of. Yeah, so every day we're there  
 14 to educate and teach people on how we can reduce  
 15 things and not just throw them in a landfill.

16 Thank you for your time. Do you have any --

17 CHAIRMAN PARKER: Thank you. Next is Matt  
 18 Albert. Scott you're up now and next will be Matt  
 19 Albert.

20 MR. ADAMS: I'm sorry?

21 CHAIRMAN PARKER: The floor is yours.

22 MR. ADAMS: The floor is mine.

23 CHAIRMAN PARKER: The floor is yours.

24 MR. ADAMS: Okay. My name is Scott Adams,  
 25 I'm from Corinth, I'm a facilities operator at the

1 the person who testified. One thing I forgot  
 2 tonight. Raise your right hand. Do you affirm  
 3 that the testimony you're about to give is the  
 4 whole truth and nothing but the truth?

5 **(WITNESSES RESPOND IN AFFIRMATIVE)**

6 CHAIRMAN PARKER: Thank you. Now we're  
 7 back to where we should be, and now we'll hear  
 8 from Tracy Flagg and the next person is Scott  
 9 Adams. Oh, Scott is there, okay, thank you,  
 10 Scott.

11 MS. FLAGG: My name is Tracy Flagg, and I  
 12 work for Casella Resource Solutions. My main job  
 13 is at Juniper Ridge and again, I would like to say  
 14 thank you to each and every one of you. I know  
 15 this takes a lot of time and effort and it is much  
 16 appreciated.

17 I just wanted to say that I am extremely  
 18 proud that in the past 14 months we have brought  
 19 in over 1,300 people to educate them not about  
 20 just the landfill but how to reduce, recycle, and  
 21 reuse the items that they have every day. We've  
 22 done that through our open house, we've done that  
 23 through Boy Scouts, we've had Girl Scouts come in,  
 24 we've done field trips with the schools and we put  
 25 it out there that our doors are always open and

1 Pine Tree Landfill and Gas to Energy Plant in  
 2 Hampden. I'm employed with Casella and I'll keep  
 3 my comments brief.

4 I've been with the company since startup  
 5 of the plant. We came online in January of 2008,  
 6 and I've seen firsthand Casella's diligence and  
 7 conscientiousness in managing the landfill, and I  
 8 believe they've got a good handle on things.

9 You know, trash is a fact of life in our  
 10 society, it's got to go somewhere. I think we  
 11 ought to use the landfills that we have to the  
 12 fullest extent, otherwise we're going to have to  
 13 build another one someplace else. And so I  
 14 support the expansion. Thank you. Questions?

15 CHAIRMAN PARKER: Thank you. Henry Lang  
 16 is next after Matt.

17 MR. LANG: That's me.

18 CHAIRMAN PARKER: You're Matt, right?

19 MR. LANG: No, I'm Hank.

20 CHAIRMAN PARKER: You're Hank?

21 MR. LANG: Matt signed up but I've got the  
 22 stuff to deliver.

23 CHAIRMAN PARKER: So you're pretending  
 24 you're Matt right now then?

25 MR. LANG: Well, I'm going to pretend I'm

1 Matt and then I'll pretend to be Hank.  
 2 CHAIRMAN PARKER: Okay, go for it. That  
 3 will work. The floor is yours.  
 4 MR. LANG: Thank you. Good evening. My  
 5 name is Henry Lang. I'm the plant manager at the  
 6 Penobscot Energy Recovery Company, the waste to  
 7 energy facility across the river in Orrington.  
 8 I'm a resident of Lincolnville, Maine, so I travel  
 9 all the time, I come up here. I am pleased to be  
 10 here tonight on behalf of our owners and employees  
 11 to support the need for properly designed and  
 12 well-operate landfills. We feel that the  
 13 expansion of the Juniper Ridge Landfill is  
 14 appropriate and necessary to provide ongoing  
 15 capacity for Eastern Maine.  
 16 For 28 years PERC has taken municipal  
 17 solid waste from all over eastern, northern,  
 18 central and midcoast Maine and turned it into  
 19 renewable power. In doing so, we also have  
 20 reduced the volume of waste that would otherwise  
 21 end up in the landfill by approximately 90  
 22 percent.  
 23 We are also strong supporters of Maine's  
 24 Solid Waste Management Hierarchy. In fact, PERC  
 25 and its owners worked hard for the passage of LD

1 1483 a few years ago so that the hierarchy would  
 2 be a matter of law, not just a matter of good  
 3 intentions. We believe in the hierarchy and have  
 4 put our money where our mouth is as a company.  
 5 In current and future waste contracts, we  
 6 encourage recycling and reuse and the growing need  
 7 for economic -- for organics diversion. In fact,  
 8 we have teamed up with WasteZero, Exeter Agri  
 9 Energy and Casella to make it easier for the  
 10 communities and private haulers we serve to reduce  
 11 the volumes of waste they bring to us. In turn,  
 12 that reduces the volume of waste as residues that  
 13 end up at the landfill. If it can be reused, it  
 14 should never have come to us in the first place,  
 15 PERC; if it can be recycled, we don't need it; if  
 16 it's an organic waste, we don't want it. After  
 17 all, lettuce, tomatoes and other food wastes don't  
 18 burn very well.  
 19 The reality of a modern society is that  
 20 not everything can be recycled, reused or diverted  
 21 and that's where we come in. We take in what's  
 22 left, process it, remove any metals or material  
 23 that can be further recycled, incinerate it and  
 24 create steam to power our turbine, turning our  
 25 generator that can produce enough electricity for

1 about 28,000 homes, but even then there is  
 2 residual waste from us and every other disposal or  
 3 recycling facility that has to go somewhere.  
 4 Fortunately for us and our customers, that  
 5 somewhere is just a few miles away at Juniper  
 6 Ridge. Quite simply, PERC could not exist in its  
 7 present form without Juniper Ridge, and even  
 8 though landfills fall below us on the hierarchy,  
 9 we don't see a facility like Juniper Ridge as the  
 10 least important piece of the hierarchy. Quite the  
 11 contrary, we see the landfill as the very  
 12 foundation of the hierarchy. It all stands on the  
 13 foundation. Until the day that we become a zero  
 14 waste society, we will need all the steps in the  
 15 hierarchy and landfills like Juniper Ridge will  
 16 continue to be vital to the success of every rung  
 17 above them. We also have to be careful that  
 18 certain policies such as restrictions on oversize  
 19 bulky waste don't discourage complete and  
 20 unfettered recycling or place unnecessary  
 21 financial and operational burdens on commercial  
 22 businesses.  
 23 We've worked closely with Casella over the  
 24 years as both a customer and a vendor. We send  
 25 material to them, they bring material to us. They

1 bring tons of solid waste to our facility each  
 2 year and we send our ash, glass and grit and other  
 3 non-processables to them. They also serve as our  
 4 bypass facility when our plant is down temporarily  
 5 for maintenance or some unforeseen issue. Being  
 6 able to safely dispose of ash at a licensed  
 7 facility just 23 miles away or being able to  
 8 divert a load of waste such a short distance is a  
 9 great convenience and cost savings for us and our  
 10 customers, especially when the next closest  
 11 facility is more than 70 miles away and it's  
 12 filling fast. In addition, fewer truck miles on  
 13 the road only makes sense from an environmental  
 14 standpoint.  
 15 CHAIRMAN PARKER: Ten seconds.  
 16 MR. LANG: The PERC facility is in great  
 17 shape and we intend to be part of a comprehensive  
 18 integrated waste system in Maine for many years to  
 19 come. The Juniper Ridge Landfill is key to our  
 20 future success and our ability to provide proven,  
 21 affordable, environmentally sound waste disposal  
 22 options for the communities and private haulers  
 23 throughout Maine. Thank you.  
 24 CHAIRMAN PARKER: Thank you. And when I  
 25 was debating Matt and Henry, I forgot to call Carl

1 Ekstead I think it is that will be next, and  
 2 following Carl will be Donald Bickford.  
 3 MR. EKSTEAD: Good evening. My name is  
 4 Carl Ekstead. I am the owner of two different  
 5 corporations, Oceanside Rubbish which is a  
 6 collection company and Waste Recycling  
 7 Technologies which is a transfer station  
 8 operation.  
 9 MR. EASTLER: Carl, can you raise that up  
 10 a little bit so you're closer to it? Thank you.  
 11 MR. EKSTEAD: How's that?  
 12 MR. EASTLER: Better.  
 13 MR. EKSTEAD: Thank you. For 37 years  
 14 after I got out of school, I've been in the waste  
 15 business. I was sent to New York City and Long  
 16 Island to learn the business. Trust me when I  
 17 tell you I was educated rather quickly at 21 years  
 18 old. I've been all over New England and I've been  
 19 around the world on my own dime investigating all  
 20 sorts of technology from diesel production from  
 21 trash to organic separation to refuse derived fuel  
 22 pellets. I've seen it, I've looked at it. I'm  
 23 here in support of the landfill because as a  
 24 youngster and looking at working for a  
 25 publicly-traded company, not Casella, my job was a

1 landfill market developer at one point in time and  
 2 what that means is I either have to go out and buy  
 3 existing landfills or site new ones. I had no  
 4 idea until I got into that arena just how  
 5 difficult it was to site landfills or acquire  
 6 them. I've been escorted from a lot of places in  
 7 my life but I've been asked to leave many  
 8 buildings because the NIMBY syndrome throughout  
 9 the course of my 37-year career has been rampant.  
 10 One thing that's important to note, I had no idea  
 11 where you could build a landfill so I started to  
 12 map out throughout New England and New York where  
 13 you couldn't buy -- where you couldn't build any  
 14 particular sites from groundwater to bedrock to  
 15 problems and I can assure you there are very few  
 16 places in the northeast and New York that you can  
 17 site landfills.  
 18 The importance of Juniper Ridge is such  
 19 that the new technology is coming, I've seen it,  
 20 I've gone -- I'm a New Englander, I had to go kick  
 21 the tires, I had to touch it, I had to smell it, I  
 22 had to see how it worked. The problem is it's  
 23 manufactured overseas. To get it over here, the  
 24 Europeans -- it takes quite a long time. Even  
 25 with all the new technology, whether it's

1 anaerobic digestion, whether it's source  
 2 separation, even with that technology, I think  
 3 you've heard a landfill well run is the best  
 4 source and always will be needed because, as the  
 5 Board knows, there is always that question of  
 6 where do we bring it when the -- what if, what if  
 7 your machinery breaks down, what if that happens,  
 8 and you always go back to a well-run landfill as  
 9 to where you're going to go when there's a  
 10 problem. I have visited Juniper Ridge. With all  
 11 my years of experience, with all my travels from  
 12 Europe and around the world, Juniper Ridge hands  
 13 down is the most scientific, best landfill that I  
 14 personally have ever seen. Without that landfill  
 15 and without the expansion, another issue will  
 16 arise. We in this room, we all generate trash  
 17 every day. Those of us in the business, we make  
 18 it disappear, we wave that magic wand every day,  
 19 we go out, we pick it up, when people get home, as  
 20 long as their barrels are empty, as long as their  
 21 dumpster is clean, they're happy. We need places  
 22 like Juniper Ridge. It's not going to happen if  
 23 we don't get the expansion. Without that  
 24 expansion, you're going to be looking at many  
 25 people, individuals and businesses and communities

1 where the economics of supply and demand are going  
 2 to fall in an adverse effect. When there's a  
 3 short supply of landfill space, there will be a  
 4 higher demand for it and with that demand comes  
 5 higher pricing. So it's not just the truckers who  
 6 are going to lose jobs, it's not just the  
 7 collectors, it's everyone who generates the waste  
 8 will be adversely impacted and affected statewide.  
 9 So I implore you to please take and hear both  
 10 sides of the equation, take a look at it but in my  
 11 experience there's no reason not to expand the  
 12 landfill. They do a tremendous job there, I  
 13 compete with them, I work with them, but that  
 14 being set aside, it's the best landfill I've ever  
 15 seen. Any questions?  
 16 CHAIRMAN PARKER: Thank you.  
 17 MR. EKSTEAD: Thank you.  
 18 CHAIRMAN PARKER: Donald Bickford and  
 19 following him will be Kenny Chamberland.  
 20 MR. BICKFORD: Yes, my name is Donald  
 21 Bickford. I'm an independent owner/operator that  
 22 hauls into the landfill. I've been hauling in  
 23 there since its conception. I've seen the  
 24 day-to-day operations, I've seen the cells being  
 25 built, I've seen the daily operations of how the

1 material is handled and stuff. Like I said, I've  
 2 been hauling for about 20 years waste, and we do  
 3 need to put this material somewhere and they are  
 4 doing things right at the landfill, and I believe  
 5 we do need to expand this landfill and I believe  
 6 it will be safe or as safe as possible in today's  
 7 society. Thank you.

8 CHAIRMAN PARKER: Thank you. Okay,  
 9 Chamberland is up. Barry Staples.

10 MR. CHAMBERLAND: Good evening, everyone.  
 11 My name is Kenny Chamberland, and I'm proud to say  
 12 that I'm just a humble truck driver.

13 I just want to point out a couple of  
 14 things that I haven't heard yet. Burning trash  
 15 for energy and recycling still produce waste and  
 16 that waste needs to go somewhere. Recycling is a  
 17 great thing, we all believe in it, I know all the  
 18 people in the landfill believe in it, there are  
 19 signs posted all over the place at the landfill  
 20 about recycling all the way down the two mile  
 21 road. It's not that everybody likes piling trash  
 22 because we make money with it and, you know,  
 23 recycling is still a good thing but it's still --  
 24 recycling is a process and it still produces waste  
 25 and that waste needs to go somewhere. So even

1 to be shipping more of them out of here, and it's  
 2 not just the landfill, the gentleman from ReEnergy  
 3 came in, his business is directly affected by the  
 4 success of the landfill and this expansion and so  
 5 are many other small businesses and large  
 6 businesses alike, so are humble truck drivers like  
 7 myself who work and serve all these people moving  
 8 their stuff around. There's an enormous tree  
 9 that's coming down from this landfill and if it  
 10 closes, it's going to take everything out with it.  
 11 That's a lot of jobs.

12 Let me see, I have one other -- a couple  
 13 other things here. Something else I like about  
 14 the landfill is the gentleman from Hampden came  
 15 up, I know the landfill over there, they use the  
 16 methane gas to generate electricity. That's free  
 17 renewable energy. All you've got to do is plug it  
 18 in. Well, it's not that easy I'm sure but anyway,  
 19 it's free, it's coming out of the ground. That's  
 20 another form of energy we can use besides burning,  
 21 burning things people don't like, some people  
 22 don't like the noise of turbines and whatnot.  
 23 Well, there's something else that's good for  
 24 electricity and energy.

25 The last thing I want to point out is the

1 though we recycle, there will still always be a  
 2 need for landfills.

3 This landfill, look at the chart, these  
 4 people thought this through, they know what  
 5 they're doing. It's like the couple of guys  
 6 before me said, it's very well scientifically  
 7 thought out and they share a lot of that  
 8 information with us. Even as a truck driver I get  
 9 sheets sometimes at the scale house that say look  
 10 at this, you know, this is how we do what we do  
 11 and this is why it's safe and why it's good. So I  
 12 like that about the landfill. It's not all about  
 13 just throwing things away.

14 This landfill is in a good secluded area.  
 15 Making it that much bigger is not going to change  
 16 that. I think it's in a good location and if we  
 17 don't expand the landfill, like a few other people  
 18 said, the trash still needs to go somewhere. If  
 19 we send it somewhere else, it might be out of  
 20 state which is going to drive a lot of prices up  
 21 and it's going to ship a lot of jobs out of the  
 22 state and it's going to shut down another business  
 23 in the State of Maine which is something that none  
 24 of us want. We're struggling enough for business  
 25 and industry in the State of Maine, we don't need

1 problem that people have with landfills should not  
 2 lie with the landfill. It should lie with people.  
 3 We throw things away that don't belong in the  
 4 trash and that's been said so I'm not going to  
 5 spend too much time on it but I do think it needs  
 6 to be stressed, is that people need to be educated  
 7 and made aware of why recycling and reusing things  
 8 matters, just as Tracy stated, and she has given  
 9 me sheets at the scale house also about recycling  
 10 and things, and I know they're all very -- you  
 11 know, they are very for it. They don't want trash  
 12 in their landfill, and that's about all I have.  
 13 Does anybody have any questions?

14 CHAIRMAN PARKER: Thank you, Kenny.

15 MR. CHAMBERLAND: No problem, thank you.

16 CHAIRMAN PARKER: I called Barry Staples,  
 17 I didn't see him show up. Next on the list will  
 18 be Sarah Chamberlain. Sarah? How about Ben  
 19 Worcester? Come forward. Following Ben Worcester  
 20 will be Mike Haggan.

21 MR. WORCESTER: My name is Ben Worcester,  
 22 I live at 66 Long Pond Road in Southwest Harbor.  
 23 Along with my brother and sister we own and  
 24 operate a solid waste transfer station and bulky  
 25 waste storage facility in Southwest Harbor. We

1 serve the communities of Mt. Desert Island, which  
2 are Bar Harbor, Mount Desert, Southeast Harbor and  
3 Tremont. We also serve Trenton, Cranberry Island,  
4 Frenchboro, and Swan's Island, the outer islands  
5 in our area.

6 We provide a full range of disposal  
7 services, one of which is construction debris and  
8 bulky waste. We encourage our staff to cull out  
9 those items that are in that that can be recycled  
10 and we also under our supervision allow for a  
11 limited picking of primarily lumber and furniture  
12 that may also be delivered in that; however, we  
13 all need, as Ben stated here, a landfill where we  
14 can take that residual that needs to go to  
15 landfill. It is my understanding that Juniper  
16 Ridge has operated within the rules and  
17 regulations of the State of Maine, that it is  
18 going to reach its capacity in the near future and  
19 we do need a replacement for that when that  
20 facility is phased out. It serves us well, it's  
21 nearby and I would encourage you to approve it.  
22 Thank you.

23 CHAIRMAN PARKER: Thank you very much.  
24 Following Mike will be Jay Saucier.

25 MR. HAGGAN: Thank you for your time. My

1 name is Mike Haggan and I work for John Rand,  
2 Incorporated. I haul into the landfill. We have  
3 a reputable company that's running this landfill.  
4 They haven't violated any DEP or state regulations  
5 in all the years they've been there, they've  
6 complied with everything and if not here, where?  
7 How long will it take to fill up Norridgewock?  
8 Then it will have to go out of state, and that  
9 will be costly for everyone. I don't think that  
10 anyone is going to win there. They know how to do  
11 this, they do it well, they've been doing it for a  
12 long time and I hope that it goes well.

13 Thank you.

14 CHAIRMAN PARKER: Thank you. Is Jay  
15 Saucier here? Richard Rackliffe? The last couple  
16 sheets have been in support. We have some in  
17 opposition. I'm going to give them an opportunity  
18 to speak now. The first one to speak will be  
19 Karin Spitfire? Following Karin will be Pamela  
20 Bell.

21 MS. SPITFIRE: Hi, my name is Karin  
22 Spitfire and I'm from Belfast. I'd like to thank  
23 all the people who have spoken. I've learned a  
24 lot already just being here today and this evening  
25 and I really applaud all of your efforts to create

1 recycling and I'm beginning to understand what the  
2 hierarchy is. So thank you for the education.

3 The first thing I want to say is that all  
4 the comments have been about people and jobs and  
5 those are important and we're important but water  
6 and fish and other critters who live here haven't  
7 been mentioned in the comments for. So I'm going  
8 to address you as the people who are responsible  
9 and in charge of maintaining a clean environment  
10 for the people and the critters of the State of  
11 Maine, maintaining the Clean Water Act of the  
12 United States of America and upholding the  
13 treaties with the Penobscot Nation that guarantees  
14 sustenant fishing rights. You might not think  
15 that you're responsible for upholding those  
16 treaties but you're a part of the State of Maine  
17 that has treaties with the Penobscots and I'm  
18 opposed to the expansion of Juniper Ridge  
19 Landfill. And I don't speak this language, and I  
20 don't -- so -- and I really appreciate that you do  
21 and that you wade through all of this and you try  
22 to figure out what's best and I thank you for your  
23 work. I know that you don't get -- that you're  
24 volunteers, this board, and that's incredible. I  
25 do speak the language of anatomy and physiology

1 and we are 70 percent water, people, we all are 70  
2 percent water. While you might drink things laced  
3 with sugar, chemicals and alcohol, you probably  
4 wouldn't drink battery acid, you probably wouldn't  
5 drink battery acid with the benefit of a dental  
6 dam, you're not going to add toxins into the water  
7 in your body on purpose. We're 70 percent water  
8 and water is what our cells live in and our cells  
9 are like fish, the living structures that do  
10 everything to keep us alive. Our cells are also  
11 primarily water. Water in the rivers, our  
12 bloodstream of our body, carry oxygen and  
13 nutrients to the capillary beds and the capillary  
14 beds are like wetlands. That's where all the  
15 exchanges happen. Everything happens there. The  
16 oxygen and the -- the oxygen and the waste go back  
17 and forth in the wetlands and the capillaries then  
18 merge into rivers and carry all that waste and the  
19 cellular creations to everything else in the body  
20 and excrete it, and this waste for eons before  
21 industrialization was completely useful and  
22 metabolized by everything else living. And that's  
23 our problem. I understand you understand that  
24 we're creating waste that we can't metabolize in  
25 our natural system, but you wouldn't take a

1 capillary bed and put it at the top of your heart  
 2 right next to the aorta which is the main river of  
 3 your body and put a barrier around it and think  
 4 that that barrier -- and then inject toxins in it  
 5 and think that barrier was going to hold. You  
 6 wouldn't do that. That part of your heart would  
 7 die. That part of your life force would die and I  
 8 didn't understand how not just the lining here but  
 9 that then there's the leakage -- leachate -- how  
 10 do you say that word -- leachate gets taken to the  
 11 wastewater treatment plant, so let's say they have  
 12 to put a pipe in from your heart to your liver in  
 13 order to get that to be filtered out before it  
 14 goes into the river, would you do that? So that's  
 15 what you're doing is you're putting toxins into  
 16 water and water -- everybody knows water seeks its  
 17 own level, water cannot be contained.

18 CHAIRMAN PARKER: Twenty seconds.

19 MS. SPITFIRE: Okay. So according to your  
 20 rules, the licensing says solid waste facilities  
 21 will not contaminate any water of the state. The  
 22 landfill land is owned by the state and by their  
 23 own admissions here, the wetlands and vernal pools  
 24 of the state will be contaminated. It doesn't say  
 25 anything about mitigated. It says shall not be

1 contaminated. Thank you.

2 CHAIRMAN PARKER: Thank you. Pamela Bell  
 3 and following Pamela will be Peter Crockett. I'm  
 4 going to ask the assistant here when you've got  
 5 one minute left just to raise her hand so you'll  
 6 know what you have for time if you use your five  
 7 minutes, okay? Pamela Bell, the floor is yours.

8 MS. BELL: Okay. Thanks for giving me the  
 9 opportunity to talk tonight. My name is Pamela  
 10 Bell and I live in Milford. I live right on the  
 11 Penobscot River. When the river is high from a  
 12 lot of rain, I have a 50-foot backyard, when it's  
 13 low and it's drought time like now, I have 100  
 14 feet of backyard. So the river is a big part of  
 15 my life and I'm really pleased about the River  
 16 Restoration Project and we're hoping, our little  
 17 conclave in Costigan, Maine, where we live in the  
 18 northern part of Milford, we're glad that -- we're  
 19 looking forward to more different kinds of fish  
 20 coming up there instead of just river bass to  
 21 catch. It would be very pleasant to have more  
 22 fish varieties. We live right next to the  
 23 Sunkhaze Meadow Refuge. So we're pretty -- we're  
 24 -- well, let me just say in general I think this  
 25 expansion is a dangerous toxic overload for this

1 Penobscot River watershed.

2 I'm very concerned about what goes into  
 3 the river; in other words, what's in that  
 4 leachate. I would like to know if anyone can tell  
 5 me tonight if a study has been done to determine  
 6 what's in the leachate as it leaves the landfill  
 7 and what's in it as it leaves the treatment plant.  
 8 Can someone tell me whether that information is  
 9 available and where I might find it? Suddenly  
 10 they have no information.

11 That's basically what I want to know and I  
 12 came here and I listened all day and I didn't -- I  
 13 didn't get that information, and I think we people  
 14 who live on the river need that information and  
 15 that leachate needs to be treated good to put it  
 16 in the river, otherwise you're going to  
 17 contaminate the river and Penobscot Nation people  
 18 are supposed to be able to sustainably fish that  
 19 river and be able to eat those fish. This isn't  
 20 going to help. I understand that the first part  
 21 of the landfill was -- as it was inherited only  
 22 had a single liner on it so whatever they do now  
 23 to make it so wonderful, there's still that first  
 24 part there where it will spring a leak sooner than  
 25 this fancy stuff. So it's a concern. Thank you.

1 CHAIRMAN PARKER: Thank you. Peter  
 2 Crockett. Following Peter will be Diane  
 3 Oltarzewski. I'm sorry if I mess your name up.  
 4 Peter, the floor is yours.

5 MR. CROCKETT: Good evening. Thank you  
 6 for the opportunity to speak. Peter Crockett, I  
 7 live in Argyle, Maine, I live within a couple of  
 8 miles of Juniper Ridge landfill.

9 I've seen the steady parade so far of  
 10 Casella employees, some expert witness, and I  
 11 would like to say on record that I believe Casella  
 12 is doing a pretty good job of managing that  
 13 facility. That's not the issues that I have.  
 14 Every witness that had preceded me in favor of  
 15 this has spoken in terms of finances. Heavy  
 16 industry has pretty much left our state and left a  
 17 lot of people without work. I look around and I  
 18 see astounding natural beauty. Dirigo and  
 19 Vacationland are words we use to describe our  
 20 world in the heading of our state in an  
 21 ideological manner. I believe we should be far  
 22 more protective of our environment than money  
 23 which can be derived from a great amount of  
 24 different directions. The health and wellbeing of  
 25 our river and our natural resources should be held



1 above everything else.  
 2 The origins of this project were products  
 3 of backroom deals contrived in the wee hours of  
 4 the night when there was no one there to protest  
 5 this poor idea or slow the process of this blight  
 6 being created in such an inappropriate place.  
 7 Ever since the time of its conception in the early  
 8 2000s this monstrosity of waste has provided  
 9 millions of dollars to the bottom line of its  
 10 operator while its physical presence is constantly  
 11 growing, is constantly concocting a more complex  
 12 stew of toxins as each day passes. It is seen as  
 13 a proverbial paint can full of death teetering  
 14 above the doorjamb just waiting for some unseen  
 15 event which will allow the massive stew of certain  
 16 death to drain into the surrounding wetlands,  
 17 travel to the Penobscot River and then on to the  
 18 Penobscot Bay where it will adversely affect the  
 19 fisheries of Maine and the health of our coast and  
 20 ocean.  
 21 This mountain of municipal refuse is  
 22 already presenting a threat to the health and  
 23 wellbeing of our world. This is not a question of  
 24 whether or not this project will come to fruition;  
 25 this is a question of how much worse we are

1 willing to allow this ticking time bomb to grow.  
 2 The ugly truth of the matter is that the operator  
 3 of this landfill is making money by filling our  
 4 space with imported refuse that does not belong in  
 5 the State of Maine.  
 6 Many of the people have testified that if  
 7 Juniper Ridge is closed, our waste will have to go  
 8 out of state. I think that's a wonderful idea. I  
 9 think that equating a higher level of financial  
 10 responsibility to people throwing things out is a  
 11 wonderful idea. Waste does not disappear, as some  
 12 people said. Energy and matter is neither created  
 13 nor destroyed. There are very many pertinent  
 14 issues to this project which have been deemed  
 15 irrelevant by the minion of industry. All I can  
 16 say to this is that talk is cheap and when your  
 17 irrelevant issues jump instantly into the reality  
 18 of our world, they will seem quite real and will  
 19 offer up true life consequences which will be  
 20 anything but irrelevant.  
 21 If the BEP chooses not to consider the  
 22 real life effects of changing weather conditions  
 23 and allows this permit to be issued regarding  
 24 false and outdated data, the people of Maine will  
 25 hold them accountable for their actions. I urge

1 the BEP to step back in the best interest of the  
 2 people of the State of Maine and the best interest  
 3 of the environment which sustains us all and not  
 4 the best interest of the corporate entities whose  
 5 only concern is that of profits. I believe if  
 6 this project was landfilling only the waste in the  
 7 State of Maine, I guess there would be very few  
 8 people who would be opposed to it.  
 9 And talking about leachate and going into  
 10 the river, we read every day about how many things  
 11 cannot be treated in leachate. Micro balloons  
 12 which are used in cosmetics and sparkly lipstick  
 13 and eye liner go through treatments because  
 14 they're too small. Pharmaceutical chemicals go  
 15 through treatment plants without being affected in  
 16 the least. They all end up in that river.  
 17 I watched a meager attempt to shut down  
 18 Professor Coghlan earlier by trying to relate the  
 19 difference of 8,000 more gallons a day to the  
 20 allowed total flow of a wastewater treatment  
 21 plant. All I have to say is a thousand pounds of  
 22 toxins on that table is a thousand pounds of  
 23 toxins regardless of how much water it's mixed  
 24 with. We must protect and sustain the health and  
 25 welfare of our world. It's the only one we have.

1 Industry comes and goes. It's the only  
 2 environment we have. Thank you very much for your  
 3 time.  
 4 CHAIRMAN PARKER: Thank you. Diane,  
 5 followed by Bill Lippincott.  
 6 MS. OLTARZEWSKI: Let me say that for you.  
 7 I'm Diane Oltarzewski from Belfast, Maine, and  
 8 thank you for the opportunity.  
 9 Massive trucks rumbling over our roads,  
 10 diesel emissions spewing into our air, a too heavy  
 11 burden placed on our heartland from far-off places  
 12 which are buying a pass from looking after their  
 13 own waste streams. This is no incentive for them  
 14 to reduce, reuse, recycle or compost. Seepage of  
 15 toxins into the waters of our heartland, lining  
 16 insulation to last only 50 or 100 years, not  
 17 enough to prevent us passing on to our  
 18 grandchildren yet another super fund cleanup site.  
 19 Two acres of precious wetland gone, dwindling  
 20 natural habitat destroyed forever leaving us  
 21 vulnerable, I ask you to reject this landfill --  
 22 the expansion of this landfill. Each  
 23 jurisdiction, each home, each town, each state  
 24 must accept responsibility to resolve its own  
 25 waste stream. Maine should not be the dumping

1 ground for more than its share of municipal waste.  
 2 The watershed of the Penobscot River must be  
 3 protected. Our people's lives and health depend  
 4 on it. Expanding Juniper Ridge would take us in  
 5 exactly the wrong direction at a critical  
 6 crossroads in our environmental policy. I ask you  
 7 to bring your better judgment to bear and to  
 8 reject this expansion as wrong for Maine. Thank  
 9 you.

10 CHAIRMAN PARKER: Thank you. After Bill  
 11 Lippincott will be Ryan Parker. The floor is  
 12 yours.

13 MR. LIPPINCOTT: Thank you. My name is  
 14 Bill Lippincott, I live in Hampden.

15 The whole point of having a state-owned  
 16 landfill is to be able to preserve the state's  
 17 landfill capacity for Maine generated waste and to  
 18 be able to limit out-of-state waste coming to  
 19 Maine. Juniper Ridge is not operating in a way  
 20 that meets the long-term capacity needs of this  
 21 state. The way it operates is not consistent with  
 22 state solid waste policy which places landfilling  
 23 at the bottom of the hierarchy. As Ed Spencer  
 24 pointed out in his written testimony regarding the  
 25 expansion, oversize bulky waste, OBW, increased

1 dramatically at Juniper Ridge from 9,649 tons in  
 2 2007 to 21,000 tons in 2008, over 51,000 tons in  
 3 2009, to almost 99,000 tons in 2011. Less than  
 4 10,000 tons in 2007, almost 99,000 tons in 2011.  
 5 DEP Commissioner Aho expressed concerns about this  
 6 dramatic increase as well as large amounts of demo  
 7 debris coming to Juniper Ridge at the time. This  
 8 is all part of a pattern of Casella to fill its  
 9 landfills as fast as they can with as much waste  
 10 as they can possibly attract. I've experienced  
 11 watching Casella's operations in Hampden which is  
 12 revealing.

13 In 1998, Casella estimated in its  
 14 application it would dispose of approximately  
 15 143,000 tons a year in its expansion providing  
 16 capacity for approximately 23 years which meant  
 17 that the capacity would last until 2021; however,  
 18 in 2002, when PTL's public benefit determination  
 19 was changed to accept MSW bypass, they changed  
 20 their estimated capacity and said it would only  
 21 last until 2012. They stated in response to a  
 22 variety of factors it took in approximately  
 23 567,000 tons in 2003, so 143,000 tons in 1998,  
 24 five years later 567,000 tons. The game changer  
 25 was DEP allowing MSW bypass in 2002.

1 In 2004, Casella estimated the landfill  
 2 would reach capacity in 2007. So it went from  
 3 initially 2021 to 2007 in six years. Now, Casella  
 4 said the increase was because of new customers,  
 5 they said they had no control over how much waste  
 6 the landfill was taking in. The new customers  
 7 were MERC, wastewater treatment plant sludge,  
 8 which is New England Organics which is owned by  
 9 Casella, MERC was owned by Casella and bypass MSW  
 10 from MERC. And they said that over half the  
 11 increase in disposal was from waste generated in  
 12 Maine but when MERC processed waste, they were  
 13 taking a lot of waste from out of state. They'd  
 14 park their trucks there and all of a sudden waste  
 15 that came to MERC would become MSW bypass. At the  
 16 time I requested of the State Planning Office how  
 17 much out-of-state waste was coming into Pine Tree  
 18 Landfill and I got a reply from George MacDonald  
 19 in 2001 Pine Tree Landfill 19,000 tons of MSW and  
 20 demo debris that was generated out of state. One  
 21 minute, okay. In 2003, the number was 218,000, so  
 22 in two years it went from 19,000 to 218,000.

23 I go on in this with many more examples  
 24 and I will send this to the Board. But my point  
 25 is that they're not practicing -- they're not

1 trying to preserve the long-term capacity of this  
 2 landfill. This is a priceless resource. We heard  
 3 from someone else how difficult it is to site  
 4 landfills. This is a state-owned landfill and the  
 5 way they operate it is not in the long-term  
 6 interest of our state. Thank you.

7 CHAIRMAN PARKER: Thank you. Brian Parker  
 8 is up and then following him will be Cheryl  
 9 Spencer.

10 MR. PARKER: Good evening, Chairman Parker  
 11 and members of the Board of Environmental  
 12 Protection. My name is Ryan Parker, I'm the  
 13 environmental policy advocate for the Natural  
 14 Resource Council of Maine, and I appreciate the  
 15 opportunity to speak to you all tonight in  
 16 opposition to the proposed expansion of the  
 17 Juniper Ridge Landfill.

18 NRCM believes that the proposed expansion  
 19 does not adhere to the State Solid Waste  
 20 Management Hierarchy licensing criteria because  
 21 the state hasn't first implemented common sense  
 22 ways to reduce the fill rate at the landfill to  
 23 extend the life of the current license capacity.  
 24 In that vein, I want to thank you, Chairman  
 25 Parker, for your line of questioning this

1 afternoon regarding efforts to reduce the amount  
 2 of MSW taking up landfill space.

3 In addition to some other issues, I want  
 4 to point out an apparent inconsistency between the  
 5 application and the requirements for its approval.  
 6 Chapter 400, Section 3 reads, in part, "the  
 7 Department shall issue a license for a solid waste  
 8 facility or activity whenever it finds that the  
 9 facility or activity satisfies all applicable  
 10 requirements of this chapter," and I think this  
 11 gets straight to the heart of Dr. Eastler's  
 12 questions this afternoon regarding metrics.  
 13 Chapter 400, Section 3D reads, "the Department  
 14 shall issue a license for a solid waste facility  
 15 whenever it finds based upon substantial evidence  
 16 in the record that the solid waste facility will  
 17 not contaminate any water of the state,  
 18 contaminate the ambient air, constitute a hazard  
 19 to health or welfare" -- and here comes the  
 20 important phrase -- "or create a nuisance." It is  
 21 important to note that the word "nuisance" is not  
 22 defined in the definition section of Chapter 400  
 23 presumably because the word has a clear definition  
 24 upon which the Department and/or Board can rely in  
 25 their determinations. The established definition

1 of nuisance is, quote, a person, thing or  
 2 situation that is annoying or that causes trouble  
 3 or problems, end quote. While the application in  
 4 question has attempted to address several of the  
 5 other criteria listed under Chapter 400, Section  
 6 3D, the application does not address the nuisance  
 7 standard. In fact, the Board could find for  
 8 residents with property adjacent to and near the  
 9 site in question ample evidence that the existing  
 10 site is a nuisance and that the proposed expansion  
 11 will result in a directly proportional increase in  
 12 that nuisance. Some of those residents have  
 13 submitted testimony to that effect. We urge the  
 14 Board to consider the nuisance standard, the  
 15 application's apparent failure to address it and  
 16 the evidence that the expansion may, in fact, be a  
 17 nuisance to residents in its determination as to  
 18 whether to again quote Chapter 400 the facility or  
 19 activity satisfies all applicable requirements of  
 20 this chapter.

21 In addition to technical issues with the  
 22 application itself there are larger issues the  
 23 proposed expansion touches and we encourage BEP to  
 24 reject this application and instead work to pass  
 25 legislation that reduces what goes into JRL to

1 extend the life of the existing license capacity  
 2 by, one, preventing out-of-state waste from  
 3 entering the landfill; two, require the landfill  
 4 operator to use an alternative daily cover that  
 5 does not take up air space; and, three, prevent  
 6 anything that is going into JRL from being applied  
 7 to the state's recycling rates.

8 The applicant asserts that this expansion  
 9 is necessary to meet the long-term capacity needs  
 10 of the state but we disagree. In January of 2010,  
 11 DEP Commissioner Littell also disagreed when he  
 12 issued a denial letter explaining why an expansion  
 13 of JRL did not provide public benefit. The five  
 14 conclusions outlined in the 22-page denial letter  
 15 included several things I'm going to skip tonight  
 16 in the interest of time and with your indulgence,  
 17 Chairman and Board, we'll be submitting these in  
 18 writing with additional attachments.

19 NRCM is particularly concerned that there  
 20 is clearly a large amount of waste originating  
 21 from out of state entering JRL which is causing  
 22 the landfill to fill more quickly than it  
 23 otherwise would. This landfill is instead being  
 24 used to meet the disposal needs of other states  
 25 and, therefore, it should not have passed the

1 public benefit determination criteria and we ask  
 2 you to take that into consideration.

3 At issue is the problematic language in 38  
 4 MRSA 1310-N11 which states, in part, "waste  
 5 generated within the state includes residue and  
 6 bypass generated within the state or outside the  
 7 state if it is used for daily cover." Defining  
 8 out-of-state waste as in-state waste depending on  
 9 its use is misleading and is allowing our  
 10 state-owned landfill to be a dumping ground for  
 11 New England. For instance, in 2013, 88 percent of  
 12 the material accepted at ReEnergy in Lewiston was  
 13 delivered from out of state and after some  
 14 processing at the facility, Re-Energy sent 97  
 15 percent of their material to JRL. Then because of  
 16 this nonsensical definition of in-state waste, the  
 17 applicant is able to verify that no out-of-state  
 18 waste entered the landfill in their annual report.

19 CHAIRMAN PARKER: Time.  
 20 MR. PARKER: Thank you.  
 21 CHAIRMAN PARKER: Cheryl Spencer is next  
 22 and then Charles Leithiser.  
 23 MS. SPENCER: Good evening, Chair Parker  
 24 and members of the Board. Thank you for your  
 25 time, attention and patience in listening to the

1 public this evening, we appreciate it.  
 2 My name is Cheryl Spencer and I live in  
 3 close proximity to the landfill, and I'm opposed  
 4 to its expansion. Imagine that. I'm sensitive to  
 5 hydrogen sulfide gas. If you've never been gassed  
 6 before, be thankful. It is a horrifying  
 7 experience. The gas is a neurotoxin, heavier than  
 8 air and stays close to the ground. I was kneeling  
 9 in my garden weeding when the familiar smell came  
 10 and I tried one more time to ignore it, then the  
 11 asthmatic response came, I couldn't breathe, I  
 12 couldn't get up. Luckily my partner recognized  
 13 this as a significant event and carried me to the  
 14 car and drove me out of the area. I live in fear  
 15 every day that this may happen again to me or, God  
 16 forbid, a small grandchild. Despite the  
 17 operator's best efforts to control this gas, this  
 18 event could happen again at any time.  
 19 A couple of points I would like you to  
 20 consider in your deliberations are, number one,  
 21 that anything that ends up in a landfill for  
 22 whatever purpose the operator uses it cannot be  
 23 considered recycled material. It resides in a  
 24 landfill forever. The applicant points to  
 25 complying with state law as far as what is

1 acceptable for this landfill but special  
 2 conditions apply to this state-owned landfill.  
 3 The state may control what comes into it but thus  
 4 far it has failed to do so.  
 5 Point three, this was cited as a  
 6 generator-owned landfill because it was close to  
 7 the mill and would be accepting only paper mill  
 8 waste. It has gradually evolved to accept all  
 9 types of waste, even hazardous waste. As Mr.  
 10 Labbe testified, they would take action in  
 11 consultation with the DEP. This has happened in  
 12 the past. Loads of hazardous lead-laden ash from  
 13 the Old Town mill's biomass boiler was delivered  
 14 to JRL. When it was discovered to be hazardous,  
 15 it was never removed. It was mixed in and still  
 16 resides there.  
 17 Number four, if there's anything you can  
 18 do to rein in the bypass of not only MSW and CDD  
 19 but also wastewater treatment plant sludge. We  
 20 have a state statute that calls materials  
 21 discarded in another state Maine waste contrary to  
 22 any reasonably intelligent interpretation of the  
 23 definition of out-of-state waste. We are just  
 24 asking for abuse. Please find the means to turn  
 25 down this expansion application and stop that

1 abuse. Thank you for your time.  
 2 CHAIRMAN PARKER: Thank you. Charles  
 3 Leithiser, following Charles will be Paul  
 4 Schroeder.  
 5 MR. LEITHISER: Good evening. My name is  
 6 Charles Leithiser. I'm a resident of Maine and  
 7 been a homeowner in Old Town for about the last 40  
 8 years. Thank you for your time and for allowing  
 9 me to speak this evening.  
 10 Back in the early 1990s residents of Old  
 11 Town were promised by Mr. Doyle and others that if  
 12 the City of Old Town allowed a paper mill sludge  
 13 dump, said dump could never become anything else.  
 14 Since then we've been told that the now Juniper  
 15 Ridge Landfill would not be permitted to accept  
 16 municipal solid waste, there would be no odor  
 17 problems or issues created by trash trucks, there  
 18 could be hot house tomatoes growing on top of the  
 19 landfill, the landfill gas is going to be used to  
 20 heat the University of Maine, possibly an expanded  
 21 industrial park in Old Town and on and on. All of  
 22 these claims turned out to be false and I, for  
 23 one, am frustrated by and tired of the best case  
 24 scenarios that never come true.  
 25 Citizens of Maine have been told that the

1 site of the Juniper Ridge Landfill is -- this may  
 2 be a new word -- but hydrogeologically speaking  
 3 perfect as the groundwater under the landfill  
 4 bubbles up. What happens, however, to that  
 5 groundwater and waters beneath the ground when  
 6 millions of tons of waste are piled on top of it?  
 7 If this water begins to be squished out to the  
 8 sides, it threatens numerous small streams near  
 9 the landfill, vernal pools within the landfill  
 10 property and then the Penobscot River. Leachate  
 11 from the landfill also ends up in the Penobscot  
 12 River which is currently at the center of Atlantic  
 13 salmon recovery efforts. It makes no sense to try  
 14 and improve the water quality of the river on one  
 15 hand while simultaneously allowing contaminated  
 16 water from the landfill into the river with the  
 17 other hand.  
 18 The Bureau of Government Services acting  
 19 as owner of the Juniper Ridge Landfill for the  
 20 State of Maine has failed miserably in its  
 21 oversight of the landfill. In her partial  
 22 approval of the public benefit determination for  
 23 the proposed expansion then Commissioner -- then  
 24 DEP Commissioner Patricia Aho included  
 25 recommendations and steps that should occur before

1 the expansion application be submitted. The  
 2 Bureau of Government Services and Casella ignored  
 3 those recommendations. It appears that one state  
 4 department believes it can disregard the requests  
 5 of another state department. In this case, I  
 6 believe that the regulating agency, the Maine DEP  
 7 and BEP, should have the final authority over the  
 8 proposed expansion which would include the  
 9 findings of the public benefit determination.

10 The Landfill Operating Services Agreement  
 11 needs to be firmed up to actually prohibit any  
 12 waste whose point of discard is outside of Maine's  
 13 boundaries and determine how much oversize bulky  
 14 waste is appropriate for disposal at the landfill,  
 15 both of which were mentioned by Commissioner Aho.

16 What I have a particular concern here is  
 17 that the 187 Maine communities that were part of  
 18 the MERC consortium, including most of Maine's  
 19 largest towns and cities, produce exponentially  
 20 less oversize bulky waste than the amounts  
 21 produced at the KTI and now ReEnergy facility in  
 22 Lewiston which is supposedly delivering to the  
 23 landfill only in-state waste from the few  
 24 remaining communities not part of the MRC.

25 As a member of the Juniper Ridge Landfill

1 and other organic materials are now --

2 CHAIRMAN PARKER: One minute.

3 MR. LEITHISER: -- food waste and other  
 4 organic materials are now beginning to be removed  
 5 from the waste stream and those efforts will no  
 6 doubt increase moving forward. This also reduces  
 7 the amount of waste needing to be landfilled.  
 8 Between one-third and one-half of the waste  
 9 disposed of at Juniper Ridge did not become waste  
 10 within Maine's borders, it was disposed of in  
 11 other states. Tightening the regulations around  
 12 what is supposed to be in-state waste only would  
 13 greatly reduce that amount of landfill space  
 14 needed in the future.

15 The Bureau of Government Services and  
 16 Casella have created a false trash basis and by  
 17 doing so have efficiently given you only one  
 18 solution. As I see it, the BEP does have options  
 19 for its decision in this matter. You can outright  
 20 deny the expansion application or delay it until  
 21 the state gets a handle on what is coming to  
 22 Juniper Ridge and from where. Enforcing  
 23 Commissioner Aho's recommendations in the public  
 24 benefit determination would be a great place to  
 25 start that process. The whole premise for the

1 Advisory Committee, I was surprised to learn at  
 2 one of our meetings that the Bureau of Government  
 3 Services has no other plans for waste disposal in  
 4 Maine beyond Juniper Ridge, and, in fact, the  
 5 Bureau of Government Services is not even looking  
 6 for or considering any other options.

7 It kind of looks like the BGS and Casella  
 8 has backed you into a corner and one could  
 9 conclude that the BEP has no choice in this case  
 10 other than the approval of the expansion because  
 11 of that.

12 Much has changed with regard to waste in  
 13 Maine since the public benefit determination.  
 14 There is less of a need for increased landfill  
 15 space now than there was just two years ago. By  
 16 2018, about half of the MRC communities which had  
 17 been sending trash to the PERC plant will no  
 18 longer be doing so because they are instead  
 19 signing on with the new waste plant to be built in  
 20 Hampden. This will result in less volume coming  
 21 to the PERC plant which processed MRC waste and  
 22 then going to Juniper Ridge. Residues from the  
 23 Hampden plant will not be sent to Juniper Ridge at  
 24 all.

25 As we've heard earlier tonight, food waste

1 state owning a landfill is to enable the state to  
 2 control it, something that BGS has not  
 3 accomplished. That task now falls to you. Mr.  
 4 Geisser of ReEnergy --

5 CHAIRMAN PARKER: Time.

6 MR. LEITHISER: Okay. We heard that the  
 7 out-of-state waste coming into ReEnergy has gone  
 8 down by seven percent. That still means that more  
 9 than 80 percent of their source is from out of  
 10 state and more than 85 percent of that ends up in  
 11 Juniper Ridge. Please prohibit the practice of  
 12 trash laundering that allows much of Maine's  
 13 landfill capacity to be used up by waste that was  
 14 not discarded within the state's borders.  
 15 Citizens of Maine and the residents of Old Town  
 16 certainly deserve at least that much; if not, we  
 17 will sadly be right back here within a few years.  
 18 Thank you.

19 CHAIRMAN PARKER: Thank you. Paul  
 20 Schroeder followed by Ridgely Fuller. Try to stay  
 21 in your five minutes. We'll give you a one-minute  
 22 warning but we don't want to take time from other  
 23 people who would like to speak as well. Mr.  
 24 Schroeder, the floor is yours.

25 MR. SCHROEDER: Thank you, Chairman

1 Parker, members of the Board. My name is Paul  
2 Schroeder, I live in Orono and I do appreciate the  
3 careful efforts that you all make to try to make  
4 sure that our waste disposal policies, laws and  
5 rules are implemented -- created and implemented  
6 appropriately. Tomorrow before the 5 p.m.  
7 deadline I'll submit a written summary of my oral  
8 comments here which I think will be brief.

9 The outcomes I'd like to see of this  
10 process are, first of all, that there should be no  
11 expansion of the Juniper Ridge Landfill. If  
12 there's going to be an expansion, let this one be  
13 the last. I haven't heard mention today at all  
14 that the public benefit determination was made on  
15 the basis of a proposal to build out this landfill  
16 to its full 30 million cubic yard capacity. That  
17 proposal was denied. If we think in terms of  
18 thirds, we're in phase one, that's ten million,  
19 we're going to come into phase two, that's another  
20 ten or 9.25, then there's going to be another  
21 phase. Let's make this one the last.

22 I also feel that we should establish a  
23 clear audit trail for all the materials that are  
24 coming to the landfill, their sources and  
25 alternatives. So those are my two

1 recommendations, number one, build a box around  
2 this, do not let it grow after this expansion even  
3 if it's -- even if it's approved.

4 Now, I've been paying close attention to  
5 this issue since January 21st, 2004, when the DEP  
6 held a public informational meeting. You know  
7 that there hasn't been a public hearing on this  
8 landfill ever since the expansion permit was  
9 proposed. This is the first in all these years.  
10 My attention got caught when questions about the  
11 Resolve -- the Legislative Resolve were proposed  
12 to the State Planning Office and they deferred to  
13 the representative of Pierce Atwood who at that  
14 time was representing Casella, previously GP, for  
15 explanation of the Resolve. I thought that was  
16 really an interesting development. So I thought  
17 I'd get to the bottom for my own interest of what  
18 really happened, so I brought 15 copies for all of  
19 you today for the intervenors and for the Board  
20 members of a detailed year one timeline history  
21 that I prepared in 2004. It's been online for 12  
22 years now with a request that if there are any  
23 problems or inaccuracies or corrections, please  
24 get in touch with me and please, that's my --  
25 that's my plea. I invite you to read this early

1 history, the first year of this process, how it  
2 came to be, how we're here now. Think about this  
3 and think about how this history and where we're  
4 at now can be useful to create better decisions  
5 and better policies for where we're heading for  
6 Maine's trash future. Please, build a box around  
7 this, we should work toward a zero waste future  
8 and we should work toward a zero growth strategy  
9 for the Juniper Ridge Landfill. Thank you very  
10 much.

11 CHAIRMAN PARKER: Ridgely Fuller.

12 MS. FULLER: Thank you very much for  
13 allowing me to speak this evening in opposition to  
14 the expansion of the Juniper Ridge Landfill. My  
15 name is Ridgely Fuller and I'm from Belfast,  
16 Maine. I've been listening -- I'm deeply moved by  
17 the way more reasoned arguments against the  
18 expansion of this landfill and also by the  
19 suffering it's caused for the people in the  
20 surrounding communities. I'm also very  
21 discouraged and saddened by realizing how many  
22 people's livelihoods really depend on us creating  
23 waste in our economy. I think that we should not  
24 be talking about an expansion of a landfill that  
25 sets a dangerous precedent, instead that our

1 efforts really need to go towards creating a zero  
2 waste economy and society. I think we realize  
3 that in the long run our planet really depends on  
4 that.

5 When I learned first that there was a  
6 refusal to consider the impact of the possible --  
7 of Juniper Ridge Landfill on the people living in  
8 the town who will be immediately affected, what  
9 many of us would call an environmental justice  
10 issue, I immediately went to the constitution of  
11 Maine which I believe is the foundation of our  
12 agreement for government. The purpose of our  
13 uniting in such a State of Maine is described in  
14 the preamble as to establish justice, to ensure  
15 tranquility, provide for a mutual defense, promote  
16 our common welfare and to secure to ourselves and  
17 to our posterity the blessings of liberty.  
18 Section 1 reads natural rights, and that all the  
19 people born are created free and independent --  
20 equally free and independent and have certain  
21 natural inherent and inalienable rights, among  
22 which of those enjoying and defending life and  
23 liberty, acquiring, possessing and protecting  
24 property and pursuing and obtaining safety and  
25 happiness. I believe it's a clear violation of

1 this basic covenant when the air and water  
 2 pollution resulting from state policies which  
 3 favor a corporate entity degrades the health of  
 4 specific communities living in -- in the existing,  
 5 let alone, an expanded Juniper Ridge Landfill.  
 6 Most notably, I understand there are increased  
 7 cancer and asthma rates which clearly undermine  
 8 people's constitutionally guaranteed and  
 9 unalienable rights of pursuing and obtaining  
 10 safety and happiness.

11 You'll notice that -- when we talked about  
 12 the difficulty in siting landfills, you'll notice  
 13 that these landfills are not located in Belfast or  
 14 Cape Elizabeth or Falmouth Foreside but in very  
 15 vulnerable communities which is extremely unjust.  
 16 Moreover, U.S. and Maine statutes make it clear  
 17 that we are bound to protect the sustenance  
 18 fishing rights guaranteed to four tribes through  
 19 the Maine Implementation Act to fish in waters in  
 20 Indian lands and on all waters subject -- that are  
 21 described as reserved fishing rights.

22 CHAIRMAN PARKER: Excuse me, slow down  
 23 just a little bit so she can stay with you.

24 MS. FULLER: Oh, I'm sorry. I'm just  
 25 really passionate. All of a sudden tonight I'm

1 more passionate about this issue. I'm sorry.  
 2 Have you gotten me?

3 I'm also distressed by the apparent  
 4 disregard of the natural resources of Maine, which  
 5 according to almost every governmental source  
 6 represents the real and long-term economic engine  
 7 of our state.

8 Having just returned from the desert of  
 9 Arizona, I am once again reminded how critical on  
 10 so many levels, including for the future  
 11 generations of all of us, to protect the quality  
 12 of our water in this state. Groundwater streams  
 13 as well as the Penobscot are all jeopardized by  
 14 increased leachate, obviously affecting all the  
 15 fish and other wildlife that call the waterways  
 16 and wetlands, etcetera, their home. Section  
 17 101-A-2 of the Clean Water Act establishes the  
 18 national goal that water quality should provide  
 19 for the protection and propagation of fish,  
 20 shellfish, wildlife and recreation in and on  
 21 water. States are bound to establish and ensure  
 22 water quality standards for water under their  
 23 jurisdiction to protect these goals, including the  
 24 designated uses of which sustenance fishing is  
 25 one.

1 CHAIRMAN PARKER: One minute.

2 MS. FULLER: So the criteria -- we have to  
 3 protect this use. The economic solution of  
 4 turning Maine into an ever-expanding landfill for  
 5 in- or out-of-state waste is simply reprehensible.  
 6 In summary, for the rights of the low income and  
 7 tribal communities living in proximity to the  
 8 existing Juniper Ridge Landfill the obligation to  
 9 protect sustenance fishing rights of Native  
 10 Americans and for the future of our state and all  
 11 its inhabitants, I oppose any expansion of the  
 12 Juniper Ridge Landfill and call for clear  
 13 accountability of all existing air and water  
 14 pollution generated by the existing landfill.

15 Thank you so much.

16 CHAIRMAN PARKER: Thank you. We're going  
 17 to take two more and then we're going to give a  
 18 little break to our stenographer. These are  
 19 actually the last two signed in opposition. Next  
 20 will be Andy Jones, followed by Sherry Verrill.

21 MR. JONES: Hi, my name is Andy Jones.  
 22 Thank you so much for the opportunity to speak. I  
 23 work for an organization called Toxics Action  
 24 Center. We are a New England wide nonprofit and  
 25 we work side by side with community groups to

1 clean up and prevent pollution, and I am speaking  
 2 today in opposition to the application to expand  
 3 the Juniper Ridge Landfill.

4 So we're here today to debate the  
 5 expansion, should Juniper Ridge grow to double its  
 6 current size, and I say no. I say no because  
 7 expansion is directly against the solid waste  
 8 hierarchy and I think it's a bad idea to grant  
 9 Casella a permit to expand without a plan to  
 10 decrease the amount of garbage going into the  
 11 landfill, and I want to stop --

12 CHAIRMAN PARKER: Slow down just a little  
 13 bit.

14 MR. JONES: Certainly.

15 CHAIRMAN PARKER: Sorry.

16 MR. JONES: So Casella is really good at  
 17 what they do, and there are a lot of hard working  
 18 Casella employees here today, and I have to say  
 19 hands down, those are the biggest, glossiest  
 20 posters I've ever seen. One of the things that  
 21 Casella is really good at doing is expanding and  
 22 ten years ago we wrote a report called Casella,  
 23 Coming to a Community Near You, which I will  
 24 forward you the PDF so you have a chance to read  
 25 this before the 5 p.m. deadline tomorrow. I'm

1 glad that Bill Lippincott was here from Hampden to  
2 share his stories of Casella expanding the  
3 landfill in Hampden, I'm glad that Ryan spoke  
4 about previous expansion attempts for the Juniper  
5 Ridge Landfill. They're good at this, they run a  
6 pretty tight ship, so they do have the ability to  
7 expand.

8 I really just don't think doubling the  
9 size of the landfill sets a good precedent, and if  
10 we double it, even if it's only every ten years  
11 that we double it, by the time I'm done with my  
12 snowboarding career, Juniper Ridge will be big  
13 enough to ski down and I don't think that's a good  
14 idea. I really don't see a plan here in Maine to  
15 follow the waste hierarchy. I don't see -- and  
16 some of this isn't something the Board can do and  
17 there needs to be legislative action on this, but  
18 if we are continuing to fill up our state-owned  
19 landfill with out-of-state waste, if we are  
20 bringing in construction and demolition waste and  
21 calling it recycling, those are serious problems,  
22 but one further question that we need to answer is  
23 should we be burning out-of-state waste in  
24 ReEnergy's biomass plants or should we be burying  
25 out-of-state waste in our landfill or should we be

1 landfill. I believe that zero growth of the  
2 landfill footprint is in order. There's already a  
3 significant burden in the form of health and  
4 environmental hazards from the pre-existing dump  
5 and other toxic sites in the area to the water,  
6 endangered species and the people practicing their  
7 federally-protected cultural and sustenance life  
8 ways on the Penobscot River. According to the US  
9 EPA and the University of Massachusetts in  
10 Amherst, the following schools in Bradley, Old  
11 Town and Milford were listed as affected by toxic  
12 chemicals. I'll skip the scientific names,  
13 they're in the writing. These were admitted by  
14 the Fort James operating company pulp mills, Viola  
15 Rand School, Old Town High School, Dr. Lewis S.  
16 Libby School, Leonard Middle School and Old Town  
17 Regional Special Ed Program. State fish  
18 consumption advisories for mercury, PCPs and  
19 dioxins are in place for the Penobscot River  
20 suggesting that it's only safe to eat one to two  
21 fish per month unless one is pregnant, nursing, a  
22 woman who may get pregnant or a child under the  
23 age of eight, in which case the suggested amount  
24 is zero.

25 A report put forth by the EPA contingency

1 accepting out-of-state waste in our state at all.  
2 These are all questions that I think need to be  
3 answered before we expand this landfill. I think  
4 granting a permit to expand this landfill is  
5 handing Casella a blank check. I would feel a lot  
6 more comfortable with this expansion if I knew we  
7 had a plan going forward to deal with the  
8 out-of-state waste that's coming into our state  
9 and into our state-owned landfill. If you have  
10 any questions, I'm happy to answer them.

11 CHAIRMAN PARKER: Thank you. Sherry  
12 Verrill. Just remember to speak slow because she  
13 has to interpret a lot of voices she's never  
14 heard. The floor is yours.

15 MS. VERRILL: Thank you, Chairman Parker,  
16 and good evening to everyone here.

17 My name is Andrea Verrill but I'm known  
18 professionally and to my friends as Shri.

19 CHAIRMAN PARKER: Shri, okay, thank you.

20 MS. VERRILL: I'm here as a wetland  
21 scientist, a concerned citizen of Maine invested  
22 in water quality, recovery of the endangered  
23 Atlantic salmon and as a friend of the Penobscot  
24 Indian Nation. I'm here to offer testimony in  
25 opposition to the expansion of the Juniper Ridge

1 with the Agency for Toxic Substances and Disease  
2 Registry states that ATSDR, the Toxic Substances  
3 and Disease Registry, determined early in the  
4 health assessment process that Penobscot Indian  
5 Nation members who ate fish and turtles were the  
6 main people potentially exposed to Penobscot River  
7 contaminants.

8 Some known constituents being discharged  
9 include suspended solids, heat oxygen depleting  
10 substances, chlorinated organics, chromium,  
11 copper, dioxin, lead, mercury, phenols, vanadium  
12 and zinc. The state water quality standards must  
13 protect the sustenance life ways of the Penobscot  
14 people as mandated by the Clean Water Act, thus  
15 it's imperative that the state water quality  
16 standards are such that the hardship of our  
17 Penobscot Indian Nation friends and neighbors are  
18 reduced not increased.

19 Juniper Ridge falls within an area of  
20 interest for NOAA's efforts to restore the  
21 Atlantic salmon population. These are beautiful,  
22 well thought out, scientifically sound barriers.  
23 They won't last forever. Leachate barriers are a  
24 temporary solution to a long-term threat to our  
25 waters. They break over time but the contaminants



1 do not stop leaking. Juniper Ridge is located  
 2 within the floodplain of the Penobscot River and  
 3 along two streams. Recent storm surges of  
 4 Hurricane Matthew through flooded hog farms in  
 5 Wayne County, North Carolina, causing immense  
 6 pathogenic bacteria contamination of local surface  
 7 waters and the Neuse River. What happens when the  
 8 Penobscot River swells with flood waters and  
 9 overtops the barriers? Is there a contingency  
 10 plan for such extensive surface water  
 11 contamination?

12 Nearly all surface water features interact  
 13 with groundwater. Juniper Ridge has not proven  
 14 that groundwater will not be polluted from the  
 15 existing landfill, much less from the proposed  
 16 expansion proving that -- I see the one minute.

17 CHAIRMAN PARKER: One minute.

18 MS. VERRILL: Okay. It's only a matter of  
 19 time before environmentally harmful substances  
 20 enter and pollute the state's waters here  
 21 constituting a health hazard to the people, plants  
 22 and animals which depend upon clean water for life  
 23 and which are already overburdened with  
 24 disproportionate exposure to health and  
 25 environmental hazards.

1 The truck traffic is already a noise  
 2 nuisance. I can't imagine the stress and  
 3 detrimental life effects one must experience to be  
 4 awakened every hour or 45 minutes throughout the  
 5 night.

6 Some of the other points other people have  
 7 touched on and I will skip over for brevity. In  
 8 summary, we need sincere efforts to reduce waste,  
 9 reuse material and recycle discarded products.

10 All of this is to testify against the proposed  
 11 Juniper Ridge expansion. It will pollute Maine's  
 12 waters, create a nuisance for residents, poses a  
 13 health and environmental hazard for people, plants  
 14 and animals in the area and Juniper Ridge is  
 15 bringing in trash from out of state and violating  
 16 the spirit of the state waste hierarchy. Thank  
 17 you for your time and consideration.

18 CHAIRMAN PARKER: Thank you, Shri. Right  
 19 now we're going to take a ten-minute break and  
 20 we'll be back with more testimony.

21 **(OFF RECORD)**

22 CHAIRMAN PARKER: I want to compliment the  
 23 group on being orderly and straightforward  
 24 tonight. We've got about 30 more who would like  
 25 to testify, so we're going to try to move along.

1 Remember to speak rather slowly and our  
 2 stenographer is dealing with different voices  
 3 every time someone steps up so she has to be  
 4 clever to keep up with you so help her all you  
 5 can.

6 The next person to testify will be Robert  
 7 Morrison and he'll be followed by Gordon Chase.

8 MR. MORRISON: Members of the Board, thank  
 9 you very much for your service. You've got some  
 10 very difficult decisions to make with the mining  
 11 regulations which are parallel in a way to our  
 12 dump problem.

13 CHAIRMAN PARKER: Mr. Morrison, can you  
 14 pull that in a little closer to you?

15 MR. MORRISON: Well, I'm not much -- can  
 16 you hear that? Anyway, and thank you for the  
 17 members of the DEP for putting in a long day  
 18 today. I'd just like to acknowledge my friends at  
 19 Casella who ran an open house on October 1st which  
 20 I enjoyed very much. We were able to go up to the  
 21 top of the mountain and watch people drive golf  
 22 balls off into the offloading things, but the  
 23 thing that really interested me at the open  
 24 house -- one of the things -- was the tank in  
 25 which they put the leachate. It's a very

1 significant tank and it got me thinking about what  
 2 happens to the leachate. Well, there clearly is  
 3 an unloading location next to the tank where they  
 4 can unload trucks, where the trucks go, we know  
 5 they go down to the old Georgia-Pacific mill down  
 6 in Old Town and where do they unload, they unload  
 7 into the aeration pond at the Georgia-Pacific  
 8 plant. So being primarily a poker around rather  
 9 than a technical expert, I went down to the  
 10 Georgia-Pacific plant to see what happened to the  
 11 leachate in the plant and they have an aerator  
 12 running regularly. There are 11 aerators in the  
 13 pond, of which one -- now, somebody for  
 14 Georgia-Pacific -- well, it's not anymore, but  
 15 anyway, somebody can correct me how the aerators  
 16 run but it looked to me as though they run one in  
 17 rotation of the 11. So I asked myself, well, what  
 18 do the aerators do? Not being very technically  
 19 capable, I kind of shrugged my shoulders and said,  
 20 well, generally aerators oxidize some kind of  
 21 organic material to try to neutralize it, but I  
 22 was -- I have to step back a minute. I -- before  
 23 all this happened, I did go to the Old Town town  
 24 office where there was a copy of that 45-pound  
 25 application which I thumbed through and in that

1 thumbing through, I found this whole series of  
 2 samples and the results of the samples, and one of  
 3 the samples was from the leachate pump location,  
 4 and that particular list that I looked at had a  
 5 concentration of around 350 milligrams per liter  
 6 for arsenic in that leachate pump and as you  
 7 probably know, about five grams per liter --  
 8 milligrams per liter is the EPA standard for  
 9 arsenic. So the significant -- I came away from  
 10 looking at the records with the feeling that there  
 11 are sometimes high and at least significant  
 12 arsenic in the leachate. So then I said, well,  
 13 what does -- going back I wondered, well, what  
 14 does aerating do to arsenic in leachate and  
 15 somebody here, I'm sure, can tell me but I don't  
 16 know. Then it wasn't perfectly obvious what  
 17 happened --

18 CHAIRMAN PARKER: Forty-five seconds.

19 MR MORRISON: Excuse me?

20 CHAIRMAN PARKER: Forty-five seconds.

21 MR. MORRISON: Forty-five seconds, okay.

22 Well, anyway, clearly the leachate is --  
 23 eventually goes into the Penobscot River and we  
 24 don't -- I don't know what happens in the mill  
 25 between the aeration pond and the outfall.

1 Presumably there's some kind of a skimmer or  
 2 clarifier and presumably that takes out any of the  
 3 suspended solids.

4 Trying to follow the trail from the plant  
 5 down to the river produces a structure which  
 6 should be in the Maine Historic Preservation  
 7 Society records, a silo from which the leachate or  
 8 the treated leachate is discharged into the river.  
 9 I would hope that Casella or the DEP can regularly  
 10 sample the leachate that goes into the river.

11 Thank you very much.

12 CHAIRMAN PARKER: Gordon Chase? No Gordon  
 13 Chase. How about Brian Hovey? How about T.J.

14 Troiano? Did I come anywhere close?

15 MR. TROIANO: Perfect.

16 CHAIRMAN PARKER: And he'll be followed by  
 17 Terri Blair.

18 MR. TROIANO: Good evening. Thank you for  
 19 the opportunity to speak tonight. I'm speaking in  
 20 support of the expansion at the Juniper Ridge  
 21 facility. I -- I'm not a good public speaker so  
 22 just bear with me here, I'll be as quick as I can.  
 23 First off, I'd like to say I don't think anybody  
 24 wants to landfill everything. That's not the  
 25 intention here but we do have some bypass waste

1 right now that we don't have the technology or the  
 2 way to get rid of and there will be a capacity  
 3 issue at some point in the State of Maine but  
 4 hopefully not as soon as projected but we've  
 5 extended the life by recycling more and Casella  
 6 has actually been huge in the recycling system.  
 7 They built a plant in Lewiston to take material  
 8 out of the landfills with a single sort, zero sort  
 9 recycling that we're using, we've got the  
 10 incinerators in Maine that are the waste to energy  
 11 plants that a lot of the trash goes to, but at the  
 12 end, we don't have enough technology yet to be a  
 13 hundred percent zero waste, if that makes any  
 14 sense.

15 It would be great if they get the  
 16 expansion and we never need it but I don't see  
 17 that as a reality quite yet. I think technology  
 18 is getting better and better every day and we  
 19 should strive towards that, but I do believe we  
 20 are following the hierarchy as best we can right  
 21 now. Compost facilities are growing, the EcoMaine  
 22 facility in Portland is dabbling in it now and  
 23 hopefully that helps get more out of the waste  
 24 stream prior to getting to the landfill but at the  
 25 end of the day, there's still materials that need

1 to go to the landfill and we need it right now.

2 I also wanted to just speak briefly on you  
 3 hear so many people bring up out-of-state waste.  
 4 We're a waste collection company based in  
 5 Portland, Maine, servicing Augusta south and we go  
 6 both ways with the waste. A lot of our waste that  
 7 we haul does leave the State of Maine. You never  
 8 hear that so I figured -- I just wanted to point  
 9 that out that we utilize the Wheelerabrator  
 10 facility in Massachusetts for some of the waste  
 11 that comes out of our facility, the Covanta  
 12 facility down in Massachusetts, as well as we use  
 13 the Turnkey Landfill. So it does cross the state  
 14 line leaving the state as well and I just think  
 15 it's important to point that out because you  
 16 always hear it's coming into the state when it  
 17 does go out of state as well.

18 Thank you, and if you have any questions,  
 19 I'm here.

20 CHAIRMAN PARKER: Thank you. Terri Blair,  
 21 followed by Paul Blair.

22 MR. HOVEY: I'm Brian Hovey. I missed  
 23 your call earlier.

24 CHAIRMAN PARKER: Okay. We'll have Brian  
 25 Hovey and then we'll have Terri Blair.

1 MR. HOVEY: Good evening. My name is  
 2 Brian Hovey. I am the market area manager for the  
 3 central and northern Maine hauling divisions for  
 4 Casella. Though I'm an employee, I'd like to  
 5 speak to you for just a few minutes as a resident  
 6 first. When I started my career with Casella 18  
 7 years ago, I did so in Houlton, Maine. I lived in  
 8 Houlton about a mile from the Casella facility for  
 9 approximately 12 years from the time that I  
 10 started working for Casella. I raised my family  
 11 there, I have four children that are in their  
 12 middle to upper twenties, I'm happy to say that  
 13 they're all healthy. I moved to the Bangor area a  
 14 little over six years ago when my market area  
 15 expanded and I currently live for the last six  
 16 years or so on the Paper Mill Road in Hampden  
 17 approximately a mile from the Pine Tree transfer  
 18 station and gas-to-energy facility. As a general  
 19 manager with the company, I'm privy to the inner  
 20 workings and structure in many ways with how  
 21 Casella does business and one of the things that I  
 22 wanted to share tonight is that my family is the  
 23 most important thing to me, and I assure you that  
 24 if there was ever a concern as an employee or a  
 25 resident as to the professionalism and how Casella

1 conducts its business in a very environmentally  
 2 sound way, I would never consider having my family  
 3 anywhere near a facility. We currently live, as I  
 4 mentioned, in Hampden where my wife and I are  
 5 raising our ten-year-old daughter that was adopted  
 6 from India, we have three cats and a dog, and  
 7 again, very close to that facility. I believe the  
 8 expansion is not going to change anything in the  
 9 way that Casella has operated their business.  
 10 The last thing that I want to mention from  
 11 the hierarchy perspective which I know is a great  
 12 concern and certainly a big consideration in this  
 13 expansion process, I think we should look at this  
 14 as it is, that the landfills are considered to be  
 15 the lowest rung on the hierarchy. I believe that  
 16 any of the upper rungs of that hierarchy could be  
 17 removed and the solid waste management system in  
 18 the State of Maine would continue on, maybe not as  
 19 effectively but it would continue on. If  
 20 landfills which are the foundation of the  
 21 hierarchy are removed, then the entire system  
 22 comes tumbling down in the State of Maine.  
 23 I believe that this expansion is important  
 24 to continue that hierarchy moving as it is and  
 25 certainly as effectively as it is. I'm not

1 concerned at all with the expansion and how  
 2 Casella will continue to operate highly  
 3 professionally and in an environmentally sound  
 4 manner, and I believe that this expansion should  
 5 be approved. Thank you very much.  
 6 CHAIRMAN PARKER: Okay. Terri Blair.  
 7 MR. BLAIR: We'll pass, thank you.  
 8 CHAIRMAN PARKER: What's that?  
 9 MR. BLAIR: We'll pass, thank you.  
 10 CHAIRMAN PARKER: Let's try Kevin Gordon.  
 11 Craig Shorey? After Craig we have Ryan Modely.  
 12 MR. SHOREY: Good evening. Thank you all  
 13 for letting me speak. My name is Craig Shorey, I  
 14 live in Hermon, Maine, I work for Sargent  
 15 Corporation. I've been exposed to Juniper Ridge  
 16 for probably 15 years now at various levels of  
 17 construction, watching their operation. I'd like  
 18 to speak highly in favor of them. I think they do  
 19 a very good job at operating their landfill. I  
 20 think they're proactive about educating the public  
 21 about ways to recycle and things about how their  
 22 landfill operates. I have attended some of their  
 23 open houses, they do a wonderful job with that,  
 24 they invite folks in, they want to educate them  
 25 about their process and their landfill, and I

1 think -- I really haven't gotten into a lot of the  
 2 ins and outs of the regulatory process. I  
 3 certainly take my hat off to you folks, you know,  
 4 you're spending your time trying to do your due  
 5 diligence and I'm sure the folks in the State of  
 6 Maine appreciate that. It's a lot of work. I  
 7 mean, nobody wants to be here at 8:00 at night all  
 8 night sometimes. It makes for a long evening when  
 9 you have an early morning, but anyhow, gosh, I  
 10 have to -- I have to be honest. I signed up, I  
 11 thought it was a sign-in sheet. I didn't intend  
 12 to say anything. Then when you said that I'm  
 13 going to have to say something, I was like, well,  
 14 I've got to get up and say something.  
 15 I would like to speak to some of these  
 16 folks that got up in opposition. It was very eye  
 17 opening. Thank you very much. You had a lot of  
 18 thought in your comments and I certainly  
 19 appreciate that. These folks over here in  
 20 support, same thing, there was a lot of good  
 21 points and a lot of bad points. At the end of the  
 22 day, I think we need to have a landfill someplace,  
 23 Juniper Ridge is already there and I think Casella  
 24 does a good job at operating it in a responsible  
 25 manner and I think you should have somebody --

1 that you should have somebody that does that and I  
2 think starting a landfill in a new location isn't  
3 really the best solution. I think expanding this  
4 landfill is a better solution for the folks in the  
5 State of Maine and I just support it. Thanks.

6 CHAIRMAN PARKER: Thank you. Brian  
7 Modely? Michael Eben? Steve Raymond? Pete  
8 Parizo? Sean Milligan? Jonathan Nadder?  
9 Samantha Carroll? Brandon Carroll? Dan Thornton?

10 MR. THORNTON: Bingo.

11 CHAIRMAN PARKER: Bingo. After Dan we  
12 have Carl Staples. The floor is yours.

13 MR. THORNTON: Thank you you very much.  
14 I'm Dan and representing Thornton Construction, a  
15 contractor in Milford, Maine.

16 I have grown up around the landfill my  
17 entire life. My dad was contracted to work with  
18 the Milford Landfill with the pulp and paper mill  
19 in Old Town and then worked through the transition  
20 into what is now Juniper Ridge. I don't think  
21 there are many more people in this room that have  
22 seen and been as close to the operations without  
23 directly working there since the beginning as me  
24 and my father. I also was fortunate enough to  
25 grow up on the Penobscot River and probably one of

1 control, something so simple that's just in the  
2 community's best interest. I -- it's just very  
3 impressive to see the steps that they go through  
4 to be a good neighbor to all of us.

5 Business wise, they are one of our best  
6 and biggest customers. Like I said, we employ 40  
7 to 50 people indirectly and directly. It's not  
8 just the employees that go into the landfill every  
9 day that Casella helps with, it's the stability  
10 and success of their business that passes down to  
11 us and gives us the stability of that business.  
12 Being a general contractor, stability is one of  
13 the biggest things that we can look for and  
14 unfortunately in these markets, especially in  
15 Maine, we're not seeing a stability out of any  
16 other places other than Juniper Ridge.

17 As a -- that was my -- as a customer, but  
18 now as a vendor of theirs, we do several different  
19 demolition jobs throughout the state, a lot of  
20 construction and demolition debris that we bring  
21 up to the landfill. It's certainly been a game  
22 changer having them in the area. You used to see  
23 a lot of houses being demolished and buried  
24 onsite, dig a hole in the back yard, clean wood  
25 debris, dig a hole in the backyard. With the

1 my larger regrets in life are moving out when I  
2 was 18 because I have so much passion for the  
3 river from swimming, fishing, motorboating,  
4 waterskiing and I'm trying my hardest to get back  
5 on it.

6 With that -- with that passion for the  
7 river, I have zero concerns with the operation of  
8 Juniper Ridge Landfill or the expansion. I bring  
9 my kids over to swim in it, I just -- actually the  
10 water quality in my opinion has gone up over the  
11 last couple of years. The clarity is -- has  
12 improved drastically.

13 It's certainly shocking to see the growth  
14 when you go out there from when I was six or seven  
15 years old to where it is now. I understand that  
16 we have to go somewhere with it, and seeing the  
17 operations working with Juniper Ridge Landfill and  
18 Casella, the steps that they go through to prevent  
19 any environmental hazards is -- is off the charts.  
20 We are almost an emergency responder for some  
21 services such as odor control, and being a small  
22 company, we have about 40 employees in the town,  
23 we're very dependent on the landfill and  
24 sometimes, you know, it's -- it's shocking the  
25 amount of money that they will put into odor

1 affordable disposal fees that they offer this  
2 area, instead of being buried in a hole in the  
3 backyard, it's going to the landfill. You used to  
4 see a lot of gravel pits being filled in with  
5 things that, you know, shouldn't be in there,  
6 shingles and such. It -- it -- that will pick up  
7 again. We are -- we have some acreage on the  
8 outskirts of Milford and we used to get a lot of  
9 dumping, people coming out and just getting rid of  
10 shingles and wood debris and old sheds and stuff.  
11 You don't see that anymore. The sides of the  
12 roads have been cleaned up, the old pits aren't  
13 being filled anymore. So I think that we --  
14 environmentally our area needs this resource.

15 And then lastly, as a community member, if  
16 we do not allow this expansion, in my opinion it  
17 would be a nail in the coffin for the Old Town  
18 mill. It was a tremendous hit for our company  
19 losing the mill, you know, such a hit would be the  
20 same for Juniper Ridge, but if the mill does not  
21 have Juniper Ridge to operate, it would be a nail  
22 in the coffin for them, and the woods business has  
23 seen a tremendous downfall without the Old Town  
24 mill and it's -- it's only going to get worse.  
25 It's one of the greatest resources that that mill

1 has is the cheap waste disposal.  
 2 So with that, I hope you are willing to  
 3 listen to everybody's testimony but in the end, we  
 4 support the Juniper Ridge Landfill expansion.  
 5 Thank you.

6 CHAIRMAN PARKER: Thank you, Dan. Carl  
 7 Staples? And following Carl we have James Braley.

8 MR. STAPLES: Carl Staples from Lee,  
 9 Maine, and I'm a truck driver, owner/operator, and  
 10 probably for the last eight to ten years have been  
 11 going in on an occasional basis and just want to  
 12 testify to the fact that I have seen what these  
 13 diagrams show on a placard day by day operations  
 14 of laying the base and the barriers and putting  
 15 each part in exactly where it needs to be, putting  
 16 the pipe in and it's not being just thrown  
 17 together. As my observations, it's -- they're  
 18 doing a fantastic job.

19 As I came and I listened, one of the other  
 20 things that I wanted to kind of pick up here this  
 21 evening was if there is an alternative because --  
 22 and unfortunately, I did not hear an alternative  
 23 and obviously that's not the focus, but it would  
 24 be nice to think that there's an alternative, and  
 25 we all hope for the day when there will be an

1 is the alternative? We speak of this hierarchy  
 2 and another person talks about this being the  
 3 bottom of the rung, and it is a rung, it's  
 4 necessary. We can recycle and break these things  
 5 down but at the end of the day, there's still  
 6 waste that needs to go somewhere.

7 And then to say to ship it out of state,  
 8 there's a lot of problems with that as well, and  
 9 again, this was spoke to several times, our  
 10 economy is not in great shape and to tell the  
 11 everyday family that you're going to have to pay  
 12 more to get rid of your waste, it's a pretty tough  
 13 pill to swallow when we have the opportunities  
 14 here in our backyard, and those people have the  
 15 same concerns, we're just going to take our trash  
 16 and put it there, it seems a bit hypocritical. We  
 17 have the place to do it, it's run well, like Craig  
 18 who spoke before me, I work for Sargent  
 19 Corporation, I've been involved with the landfills  
 20 for a number of years and these guys to do well.  
 21 I mean, the folks that design these are top shelf  
 22 and they know what they're doing and it's not like  
 23 Casella is hiring shoddy engineers. People know  
 24 what they're doing and I'm sure that DEP can speak  
 25 to that.

1 alternative, but in my lifetime, I do remember one  
 2 alternative that we had when I was a young fellow  
 3 growing up in Lincoln in the sixties and seventies  
 4 and it was of a 55-gallon drum in everybody's  
 5 backyard and when it comes to talking about a  
 6 nuisance of a landfill, you have to really take  
 7 into consideration the nuisance of everybody  
 8 burning their own trash in their own backyard.

9 CHAIRMAN PARKER: Okay. James Braley and  
 10 John Leslie is next.

11 MR. BRALEY: Jim Braley, I live in the  
 12 Town of Alton, not very far from the landfill.  
 13 Much of what I had written down has already been  
 14 stated. A lot of the opposition, in my mind it's  
 15 a Utopia. That's just not how we live. I mean,  
 16 we have natural resources and the beauty and all  
 17 that we speak of and it is all important but as  
 18 was just said, what was really on my mind is if we  
 19 don't have a landfill, it goes to the sides of the  
 20 roads, it goes to the pits. I mean, that's why we  
 21 have spring cleanup, fall cleanup, electronics  
 22 days, right, so people will discard their waste  
 23 properly; otherwise, we -- we get it where we  
 24 don't want it and where it is not contained, and  
 25 as the gentleman before me just talked about, what

1 So I guess rather than rambling on, I hope  
 2 that you go and vote in favor of it. It's needed  
 3 and again, we can continue to improve with our  
 4 technologies and come up with ways to reduce the  
 5 waste but at the end of the day we still need a  
 6 place to put it and until we get to zero waste,  
 7 there needs to be someplace. Thanks.

8 CHAIRMAN PARKER: Thank you. John Leslie?  
 9 Bill Rayfield is next.

10 MR. LESLIE: Thanks for having me. You  
 11 know it's been a long day when the lighting  
 12 reminds you of cramming in college. My name is  
 13 John Leslie, I live in Orrington, Maine. I  
 14 started work in organics recycling in 1989 with a  
 15 company called Resource Conservation Services. We  
 16 were purchased by Casella in the late nineties. I  
 17 think in '99 or 2000 the state passed -- well,  
 18 they adopted new regulations, Chapter 419, and  
 19 under those new regulations, the land application  
 20 of biosolids became a lot tighter and it forced  
 21 much of what we were land applying out in the  
 22 field, the biosolids, into other alternatives,  
 23 whether that be composting or landfilling at the  
 24 time.

25 The organics side of the business is what

1 I work in. We have a compost facility in Unity,  
 2 Maine. We take in 40,000 -- roughly 40,000 tons a  
 3 year of sludge, biosolids, we manufacture about  
 4 75,000 cubic yards of compost, 60 percent we  
 5 recycle in Maine and you'll probably be happy to  
 6 know about 40 percent of it we send right to  
 7 Massachusetts. They love our compost, they love  
 8 to buy it, it's approved for growing garden crops  
 9 as well as horticultural crops.

10 The landfill is particularly important to  
 11 organics -- Casella Organics because in our  
 12 business sometimes we manage generators, we sign  
 13 contractors -- contracts with generators such as  
 14 municipalities and when those municipalities have  
 15 an upset, an oil spill or something like that,  
 16 oftentimes the biosolids cannot be composted or  
 17 land applied and they need an alternative place to  
 18 go and the landfill is a safety net for us in that  
 19 capacity. We also have -- there's seasonal  
 20 generation, so we try to model the facility to be  
 21 full at all times and seasonally you can have  
 22 large fluctuations. For instance, in late summer  
 23 and early fall is when there's less biosolids  
 24 produced than in, let's say, November or the  
 25 spring of the year when a lot of the municipal

1 sewers and such are getting flushed out by  
 2 precipitation.  
 3 So for us, Juniper Ridge is a very  
 4 important backup to our recycling facilities for  
 5 recycling biosolids. We're not content with just  
 6 that though. In the past three to five years  
 7 we've brought on more capacity. We are now the  
 8 exclusive provider for a new 30,000 ton per year  
 9 anaerobic digester that accepts biosolids in  
 10 Brunswick. It's located at the Brunswick Naval  
 11 Base there, Air Base, and also at  
 12 Lewiston/Auburn -- anaerobic digestion is one of  
 13 the new things that's really being developed both  
 14 in the state and around the country, and anaerobic  
 15 digestion was also developed by Lewiston/Auburn  
 16 Pollution Control Authority, LAPCA as we call  
 17 them, and they brought that online and they're now  
 18 digesting their biosolids, but the amount of  
 19 biosolids they're now producing is greatly reduced  
 20 in volume. As such, their compost facility became  
 21 open for capacity. So we are now marketing  
 22 biosolids into that facility and we're marketing  
 23 biosolids, of course, into the Village Green  
 24 facility, as well as our Unity Hot Ridge facility,  
 25 and so we really need Juniper Ridge as a backup to

1 these programs.

2 That's all I've got, and if you have any  
 3 questions, I'd be happy to answer them.

4 CHAIRMAN PARKER: Thank you.

5 MR. LESLIE: Thank you.

6 CHAIRMAN PARKER: Bill Rayfield? Next is  
 7 Craig -- I can't pronounce your -- I can't read  
 8 your last name. The floor is yours.

9 MR. RAYFIELD: I want to thank you for the  
 10 opportunity to speak with you tonight. My name is  
 11 Bill Rayfield and I work for J.D. Raymond  
 12 Transport. I've been with our company for about  
 13 ten years and we've done business with Casella for  
 14 upwards of 15 years. Our business has primarily  
 15 been as a hauler for Casella servicing facilities  
 16 throughout the State of Maine. Operations at J.D.  
 17 Raymond involve much more than the trucking we do  
 18 for Casella; however, without Casella, many of  
 19 those other operations would not be possible.  
 20 Casella has been a critical component to the  
 21 success of our employees throughout all  
 22 operations. Many people, including myself, may  
 23 not have been able to sustain employment if it  
 24 weren't for the good work that Casella does at  
 25 Juniper Ridge Landfill and throughout the State of

1 Maine.

2 Over the years my company has invested  
 3 heavily in more efficient trucks and newer  
 4 trailers that allow us to haul more efficiently in  
 5 an effort to reduce our impact on the communities  
 6 surrounding Juniper Ridge Landfill. My  
 7 perspective is as a business partner and I want to  
 8 say in that regard that Casella has been great to  
 9 work with over the years. They are exactly what  
 10 we want in a partner. They do what they say they  
 11 are going to do. They honor whatever agreement  
 12 they've made, whether it be in writing or on a  
 13 handshake and they are willing to work with their  
 14 partners to assist them whenever possible. We  
 15 pride ourselves on keeping our word and providing  
 16 the best possible service and one reason for our  
 17 strong working relationship is that Casella does  
 18 the same.

19 I want to emphasize that in my experience  
 20 Casella has proven to be a company that Mainers  
 21 should feel good about having around and one which  
 22 we should try to keep around for many years to  
 23 come. Thank you.

24 CHAIRMAN PARKER: Next on the list is  
 25 Craig and I can't read the last name, from

1 Broadway in Bangor. Is there a Craig here from  
2 Broadway? Chuck Eaton? Greg McDougal? Andrew  
3 Bennett? After Andrew it will be Josh Williams --  
4 Wellman, I'm sorry.

5 MR. BENNETT: All right. Good evening.  
6 Thank you for having this meeting. My name is  
7 Andrew Bennett. I operate a state-of-the-art  
8 hydrogen sulfide removal system with the trade  
9 name Thiopaq at the Juniper Ridge Landfill. This  
10 system minimizes sulfur dioxide pollution.  
11 Casella gave me an opportunity to come back to  
12 Maine to live and work. With the reductions in  
13 industrial employment in the region, it is  
14 unlikely that my family and I could have moved  
15 back to the region without this opportunity.  
16 Casella invested close to seven million dollars to  
17 build this facility in 2014 and invested  
18 substantial additional capital in 2015 to ensure  
19 that odor is minimized. I work at JRL every day.  
20 This is not your parents' landfill. There's a  
21 complicated system for securely disposing of solid  
22 waste and removing all liquids and gases from the  
23 waste.

24 We have nothing to hide at the landfill.  
25 We have an extensive and redundant liner system

1 which prevents any escape of leachate into the  
2 environment and allows us to confirm that no liner  
3 failure has occurred, as you learned about today.  
4 The leachate is treated in a wastewater treatment  
5 facility before release into the environment.  
6 This is all regulated by the DEP and the EPA. I  
7 also work at the site every day. Many of my  
8 colleagues live next to the landfill with their  
9 families and have not experienced any significant  
10 nuisance. Any member of the public is welcome to  
11 visit the site at any time. I would personally be  
12 happy to show you exactly what we do anytime you  
13 want. I encourage you to approve the expansion  
14 based on Juniper Ridge Landfill's compliance with  
15 the relevant licensing criteria. Thank you.

16 CHAIRMAN PARKER: Thank you. Josh  
17 Wellman. After Josh is Bill Michaud.

18 MR. WELLMAN: Good evening. Thank you for  
19 the opportunity to speak. I'm in favor of the  
20 expansion of the Juniper Ridge Landfill. I own --  
21 I'm co-owner of two companies, D, M & J Waste and  
22 Ellsworth Waste Services. D, M & J Waste is  
23 located in Winterport, Maine. They're both DEP  
24 licensed solid waste transfer stations. The other  
25 location is -- Ellsworth Waste is located in

1 Ellsworth on the Industrial Road. Both of these  
2 companies we generate waste from town transfer  
3 stations, 20-plus town transfer stations where our  
4 trucks pick up the waste at the transfer stations  
5 in large dumpsters and brought back to our  
6 transfer stations. Also homeowners, builders,  
7 contractors, other waste companies haul waste into  
8 our transfer stations, and then once the waste is  
9 at our transfer station, we recycle as much of the  
10 waste as possible. We recycle demolition debris  
11 wood out of the waste, asphalt shingles,  
12 cardboard, metal, aggregate. Anything that is  
13 feasible to recycle we do so. Last year we  
14 recycled 1,500 ton of asphalt shingles that was  
15 ground and sold to Pike Industry to be used in the  
16 asphalt industry and the paving industry.

17 Once the material is recycled at our  
18 facilities, it is hauled in tractor-trailers to  
19 the Juniper Ridge Landfill. The Juniper Ridge  
20 Landfill is a huge part of our business. We  
21 employ 18 people. Without this expansion, it  
22 would put the tipping fees very high and the cost  
23 would be spread out to the town transfer stations,  
24 the homeowners, the builders, the contractors, and  
25 so forth and so on, the other waste haulers and

1 also our company. So we try to recycle as much as  
2 we can before it goes to the landfill but there's  
3 still a portion of waste that cannot be recycled.  
4 I've been in this business for 20 years and  
5 certain materials you just can't recycle. It  
6 doesn't make financial sense. So there has to be  
7 a landfill and Juniper Ridge makes sense for us.  
8 I've been in the landfill many times, driving  
9 trucks myself into the landfill, seeing the  
10 process of them designing and building the  
11 landfill. They do a good job. Casella has been  
12 good to work with in the waste business, we  
13 compete with them but we also work with them on  
14 other basis like hauling the waste into the  
15 landfill, and I think they do a good job and we  
16 support it, and I hope you do also because if it  
17 didn't happen, it would really affect our  
18 business. I don't know where we'd take the waste  
19 that we generate. It would have to go to a  
20 different landfill and there's only one landfill  
21 in the state. Tipping fees are going to go up and  
22 that would mean for everybody. Thank you.

23 CHAIRMAN PARKER: Thank you. Bill  
24 Michaud? How about Amanda Willey?

25 MS. WILLEY: I am Amanda Willey from

1 Alton, Maine. I didn't plan on actually speaking  
2 today, but as I have heard, I have felt a need to  
3 kind of say out loud what I've been thinking with  
4 what I've been hearing.

5 I have been in Alton well before the  
6 landfill came along. I am happy to say and  
7 surprised that I don't have any nuisances from it.  
8 I'm less than three miles from it as the crow  
9 flies. I've never smelled it at my house  
10 surprisingly. I've never had any nuisances or any  
11 problems from the landfill and I certainly  
12 expected it. I remember when I heard the landfill  
13 was coming, all I could think of, without any  
14 disrespect, I was thinking of Lincoln and how bad  
15 it stunk, and I said, oh, my God, I don't want to  
16 have my town smelling like Lincoln, I didn't want  
17 that, and that's all I could think of and I have  
18 been happily surprised ever since it came around  
19 that I have not had that issue.

20 As I have listened, what I'm hearing is  
21 that we have a side that says, okay, we have  
22 economic issues, we have a need. It's very clear,  
23 as everyone has said over and over again, that  
24 there's a certain amount of waste -- and I'm no  
25 waste specialist but there's a certain amount of

1 waste that obviously we can't get rid of by  
2 recycling, and the other side we're talking about  
3 which I totally respect and totally agree with, we  
4 have to worry about our environment and we have to  
5 worry about our water, but then there comes down  
6 to a place where you say, okay, we have to look at  
7 what we have for information now and if I can, as  
8 a registered nurse, if I can compare it to drugs  
9 that some of you may have taken back in the  
10 fifties that you now found out you probably never  
11 should have been taking them but the FDA approved  
12 them, they didn't approve them, thinking, ah,  
13 forget it, no big deal, we're going to approve it  
14 and you'll probably live through it and it will  
15 help you, suck up the side effects, which was  
16 death. They didn't do that; they didn't do that,  
17 and Casella isn't doing that and landfills weren't  
18 created to see if we could somehow secretly poison  
19 waters. They're something that we have to have  
20 and every single one of us does make that waste.  
21 I don't care how green you are, you make waste  
22 that can't all be recycled and so you have to look  
23 at what you have now, and the best you have is  
24 things like this, where you have engineers, that  
25 the best that you know of right now today, this

1 landfill is what's working and it's the best we  
2 have today. Fifty years from now I'm sure they're  
3 going to be laughing at us, just like fifty years  
4 ago with some of the other stuff and the  
5 scientists were saying that we've had all these  
6 problems, we've learned every year, haven't we?  
7 We've learned every year that, hey, you know what,  
8 we can't do it this way, oh, this is causing this,  
9 this caused this consequence, and in 50 years, 20  
10 years, how technology is flying, we are going to  
11 learn what we have done now, but you can't make  
12 that decision now on what might be in fifty years.  
13 We have to put waste somewhere today, and today is  
14 with what you know of is the best, safest way to  
15 do that, and I can -- from what I have and I have  
16 looked into Casella and what they do, they're  
17 doing it as best as they can that we have to offer  
18 today. You wouldn't want to have a heart  
19 transplant 25 years ago but you have it today. So  
20 you don't say today, oh, I don't want you to do a  
21 heart transplant because, you know, Aunt Nellie  
22 died, nope, but you do today not the way it was  
23 done 25 years ago but the way it was done now, and  
24 the same thing, I don't want to have a landfill  
25 the way it was done 20 years ago but we have no

1 other choice but to have a landfill that takes  
2 care of waste now, and in ten years there will be  
3 new stuff that we learned, etcetera. It's just --  
4 it's just the way it goes.  
5 So as a resident, and I have children and  
6 I have grandchildren in the town, I don't have any  
7 water issues, I haven't been gassed in any garden,  
8 I don't have any smell, I don't have any nuisance  
9 that causes me to not want to live in Alton, but I  
10 do make waste, I do know it has to go there and we  
11 have a long way to go on recycling and learning  
12 how to recycle so that we don't have all this  
13 stuff that's going there, because from what the  
14 rumors are that I hear what goes in the landfill,  
15 yup, what goes in the landfill is stuff that these  
16 people -- they're opposing the landfill, they  
17 probably should be going to these huge companies  
18 that are dumping a whole 18-wheeler load of the  
19 supplies they couldn't sell and all the plastics  
20 and all the other stuff. That is the crime, is  
21 what we're filling the landfill with. Casella  
22 isn't making up that stuff. They didn't create  
23 that information or that trash to throw it in.  
24 That's what's coming to them. That's the crime is  
25 the stuff that's being thrown out today, but



1 that's all I was thinking. Thank you.

2 CHAIRMAN PARKER: Okay, appreciate it. I  
3 think I've completed all the names on the list.  
4 First of all, I want to compliment the audience  
5 for being orderly and respectful and we sure  
6 appreciate that. We've gotten a lot of input from  
7 both sides tonight and I'm sure we'll dwell on  
8 that at future meetings. We're now going to  
9 adjourn this meeting and we're going to meet  
10 tomorrow morning at 8:30, not 9:00 in the morning.  
11 We started testimony tomorrow morning and we'll  
12 carry that on until probably right around noontime  
13 if we stay somewhat near our schedule.

14 MS. BERTOCCI: Just before folks leave, if  
15 you do have a written statement that you wanted to  
16 leave with us, please bring it forward and we'll  
17 be happy to accept it and we'll reproduce that or  
18 if you want to submit any comment electronically  
19 before the end of the day tomorrow, we'll be happy  
20 to accept that if you send it to Kathy  
21 Tarbuck@maine.gov. If you've got any questions,  
22 please come up and we'll give you the e-mail  
23 address.

24 CHAIRMAN PARKER: Yes, Tom?

25 MR. DOYLE: Mr. Chairman, does this mean

1 there's no public session tomorrow?

2 CHAIRMAN PARKER: There's no public  
3 session tomorrow.

4 MR. DOYLE: Thank you.

5 CHAIRMAN PARKER: Thank you and have a  
6 good evening.

7 **(HEARING IN RECESS UNTIL 8:30 A.M., OCTOBER 19, 2016)**

8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

<b>#</b>	<p><b>110</b> [2] - 212:15, 241:19</p> <p><b>112,000</b> [1] - 80:4</p> <p><b>11:05</b> [1] - 90:21</p> <p><b>11:06</b> [1] - 90:21</p> <p><b>12</b> [18] - 29:18, 61:22, 63:9, 67:25, 78:21, 87:19, 112:23, 115:7, 186:5, 234:3, 234:5, 234:6, 234:7, 234:8, 259:14, 342:21, 361:9</p> <p><b>12,000</b> [1] - 295:10</p> <p><b>12-foot</b> [1] - 66:10</p> <p><b>12-inch</b> [1] - 234:12</p> <p><b>12.9</b> [1] - 134:12</p> <p><b>120</b> [2] - 32:9</p> <p><b>122,000</b> [2] - 164:25, 165:1</p> <p><b>125</b> [2] - 103:13, 104:10</p> <p><b>13</b> [5] - 11:19, 61:22, 96:6, 193:15, 245:8</p> <p><b>13,000</b> [1] - 47:9</p> <p><b>1310-N11</b> [1] - 332:4</p> <p><b>1310-S(2)</b> [2] - 3:18, 285:17</p> <p><b>14</b> [5] - 61:22, 94:15, 115:5, 298:18</p> <p><b>143,000</b> [2] - 326:15, 326:23</p> <p><b>1453</b> [1] - 259:3</p> <p><b>1483</b> [1] - 302:1</p> <p><b>15</b> [19] - 61:22, 76:15, 102:6, 102:25, 125:11, 187:2, 188:7, 239:15, 239:19, 239:24, 244:15, 248:16, 248:18, 280:16, 283:3, 342:18, 363:16, 375:14</p> <p><b>150</b> [2] - 86:8, 86:12</p> <p><b>16</b> [11] - 61:22, 104:8, 107:23, 117:2, 117:3, 179:11, 179:22, 180:16, 225:3, 239:8, 290:19</p> <p><b>16.3</b> [2] - 102:23, 104:7</p> <p><b>160</b> [1] - 123:13</p> <p><b>17th</b> [2] - 3:22, 285:21</p> <p><b>18</b> [8] - 1:9, 2:3, 51:21, 51:24, 72:2, 361:6, 366:2, 379:21</p> <p><b>18-wheeler</b> [1] - 384:18</p> <p><b>187</b> [1] - 337:17</p> <p><b>19</b> [1] - 386:7</p> <p><b>19,000</b> [2] - 327:19,</p>	<p>327:22</p> <p><b>1978</b> [1] - 274:8</p> <p><b>1988</b> [1] - 269:12</p> <p><b>1989</b> [2] - 9:19, 372:14</p> <p><b>1990</b> [1] - 40:14</p> <p><b>1990s</b> [2] - 29:11, 335:10</p> <p><b>1998</b> [2] - 326:13, 326:23</p> <p><b>1:00</b> [3] - 5:10, 130:2, 292:18</p> <p><b>1st</b> [1] - 355:19</p>	<b>2</b>	<p><b>2</b> [8] - 12:10, 130:22, 131:16, 133:12, 159:19, 168:15, 191:16, 191:21</p> <p><b>2,100</b> [1] - 55:14</p> <p><b>2,300</b> [2] - 110:18, 111:4</p> <p><b>2,350</b> [1] - 110:20</p> <p><b>2.04</b> [2] - 99:5, 102:21</p> <p><b>20</b> [13] - 24:5, 48:15, 57:12, 157:3, 174:23, 254:5, 263:19, 264:13, 290:6, 309:2, 380:4, 383:9, 383:25</p> <p><b>20,000</b> [2] - 80:3, 105:12</p> <p><b>20-plus</b> [1] - 379:3</p> <p><b>200</b> [2] - 31:19, 32:16</p> <p><b>2000</b> [2] - 41:16, 372:17</p> <p><b>2000s</b> [1] - 321:8</p> <p><b>2001</b> [1] - 327:19</p> <p><b>2002</b> [2] - 326:18, 326:25</p> <p><b>2003</b> [4] - 17:10, 168:17, 326:23, 327:21</p> <p><b>2004</b> [15] - 10:9, 10:15, 10:16, 10:25, 11:17, 11:25, 17:9, 92:13, 114:11, 129:3, 289:9, 289:12, 327:1, 342:5, 342:21</p> <p><b>2005</b> [5] - 38:10, 120:14, 134:10, 201:21, 243:11</p> <p><b>2006</b> [1] - 111:17</p> <p><b>2007</b> [5] - 243:13, 326:2, 326:4, 327:2, 327:3</p> <p><b>2008</b> [3] - 92:13, 300:5, 326:2</p> <p><b>2009</b> [1] - 326:3</p> <p><b>2010</b> [1] - 331:10</p>	<p><b>2011</b> [4] - 12:1, 115:14, 326:3, 326:4</p> <p><b>2012</b> [10] - 8:20, 13:18, 51:3, 132:1, 132:15, 134:7, 134:8, 289:20, 296:22, 326:21</p> <p><b>2013</b> [4] - 171:3, 293:21, 294:13, 332:11</p> <p><b>2014</b> [15] - 23:1, 23:19, 23:25, 24:7, 92:15, 116:4, 116:11, 116:12, 118:23, 164:19, 164:23, 170:24, 171:3, 294:25, 377:17</p> <p><b>2014/2015</b> [2] - 290:24, 291:6</p> <p><b>2015</b> [19] - 23:5, 23:24, 92:15, 101:4, 104:23, 106:24, 109:18, 114:17, 151:18, 164:25, 165:17, 171:3, 194:14, 242:12, 243:14, 289:25, 290:2, 290:17, 377:18</p> <p><b>2016</b> [10] - 1:9, 2:3, 3:23, 11:18, 134:10, 243:11, 244:9, 285:22, 294:25, 386:7</p> <p><b>2018</b> [3] - 63:24, 114:25, 338:16</p> <p><b>2019</b> [4] - 13:21, 115:1, 171:11, 172:4</p> <p><b>2020</b> [2] - 14:6, 172:5</p> <p><b>2020s</b> [1] - 274:12</p> <p><b>2021</b> [5] - 14:6, 135:11, 172:5, 326:17, 327:3</p> <p><b>209</b> [2] - 108:1, 226:19</p> <p><b>21</b> [1] - 305:17</p> <p><b>21,000</b> [1] - 326:2</p> <p><b>218,000</b> [2] - 327:21, 327:22</p> <p><b>21st</b> [1] - 342:5</p> <p><b>22-page</b> [1] - 331:14</p> <p><b>23</b> [2] - 304:7, 326:16</p> <p><b>24</b> [4] - 119:21, 124:5, 280:1, 280:2</p> <p><b>24.4</b> [3] - 279:2, 279:11, 279:23</p> <p><b>25</b> [7] - 29:25, 31:17, 104:2, 106:25, 182:8, 383:19, 383:23</p> <p><b>25,000</b> [1] - 172:13</p>	<p><b>25-year</b> [2] - 79:10, 273:5</p> <p><b>25-year/24-hour</b> [6] - 78:14, 78:15, 79:5, 79:20, 79:25, 88:15</p> <p><b>250</b> [2] - 100:25, 114:15</p> <p><b>250-foot</b> [6] - 95:2, 95:11, 95:14, 100:15, 100:18, 101:1</p> <p><b>266</b> [7] - 103:23, 107:25, 219:18, 220:3, 224:16, 224:17, 224:23</p> <p><b>266-acre</b> [2] - 107:16, 291:14</p> <p><b>27.9</b> [1] - 166:9</p> <p><b>28</b> [1] - 301:16</p> <p><b>28,000</b> [2] - 23:7, 303:1</p> <p><b>282</b> [2] - 107:25, 225:3</p> <p><b>29,000</b> [1] - 164:22</p> <p><b>2:30</b> [1] - 178:24</p>	<b>3</b>	<p><b>3</b> [7] - 3:19, 132:3, 134:9, 187:11, 263:11, 285:18, 329:6</p> <p><b>3,480</b> [1] - 23:6</p> <p><b>3.4</b> [2] - 53:13, 97:22</p> <p><b>30</b> [17] - 57:12, 69:1, 69:3, 69:7, 128:15, 130:25, 131:12, 149:11, 150:12, 150:13, 208:17, 256:12, 294:6, 294:9, 294:12, 341:16, 354:24</p> <p><b>30,000</b> [1] - 374:8</p> <p><b>30-year</b> [6] - 11:1, 131:1, 131:9, 150:2, 150:7, 150:8</p> <p><b>300,000</b> [3] - 171:4, 171:20, 294:5</p> <p><b>300-foot</b> [1] - 55:18</p> <p><b>31</b> [2] - 103:1, 103:12</p> <p><b>310</b> [3] - 93:17, 101:10, 105:10</p> <p><b>32</b> [2] - 87:20, 100:23</p> <p><b>335</b> [1] - 94:18</p> <p><b>341-D(2)</b> [2] - 3:18, 285:17</p> <p><b>35</b> [2] - 48:11, 111:13</p> <p><b>350</b> [1] - 357:5</p> <p><b>36,473</b> [1] - 165:17</p> <p><b>37</b> [1] - 305:13</p> <p><b>37-year</b> [1] - 306:9</p>
<b>\$</b>	<p><b>\$959,000</b> [1] - 134:12</p>							
<b>.</b>								
<b>'99</b> [1] - 372:17								
<b>0</b>	<p><b>0.00001</b> [1] - 35:25</p> <p><b>0.2</b> [1] - 272:14</p>							
<b>1</b>	<p><b>1</b> [7] - 191:12, 259:3, 262:12, 273:2, 290:16, 290:18, 344:18</p> <p><b>1,000</b> [1] - 116:23</p> <p><b>1,300</b> [1] - 298:19</p> <p><b>1,500</b> [1] - 379:14</p> <p><b>1.5</b> [1] - 86:7</p> <p><b>10</b> [8] - 28:1, 51:24, 115:7, 145:13, 145:14, 290:16, 290:18, 290:19</p> <p><b>10,000</b> [2] - 155:3, 326:4</p> <p><b>10-to-12-year</b> [1] - 50:15</p> <p><b>100</b> [5] - 86:9, 112:5, 112:6, 318:13, 324:16</p> <p><b>100,000</b> [2] - 212:12, 254:9</p> <p><b>100-year</b> [2] - 273:4, 275:1</p> <p><b>101-A-2</b> [1] - 346:17</p> <p><b>102,500</b> [1] - 212:14</p> <p><b>105</b> [3] - 212:14, 241:18, 241:19</p> <p><b>108,000</b> [1] - 152:12</p> <p><b>11</b> [13] - 61:22, 63:24, 89:6, 117:17, 254:1, 270:12, 271:14, 271:25, 272:5, 272:10, 290:19, 356:12, 356:17</p>							

<p><b>38</b> [3] - 3:17, 285:16, 332:3  <b>3D</b> [2] - 329:13, 330:6</p>	<p><b>50-foot</b> [1] - 318:12  <b>500</b> [2] - 19:9, 271:20  <b>500-year</b> [2] - 272:15, 275:1  <b>51,000</b> [1] - 326:2  <b>54</b> [3] - 50:4, 115:4, 290:5  <b>54-acre</b> [1] - 290:3  <b>55</b> [1] - 263:11  <b>55-gallon</b> [1] - 370:4  <b>567,000</b> [2] - 326:23, 326:24  <b>57</b> [1] - 104:1  <b>57,500</b> [1] - 263:14  <b>58</b> [2] - 51:16, 51:19  <b>5:00</b> [1] - 7:7</p>	<p><b>750-foot</b> [3] - 103:8, 103:16, 103:18  <b>76</b> [2] - 295:1, 295:2  <b>780-acre</b> [2] - 94:7, 289:8</p>	<p><b>a.m</b> [4] - 2:3, 117:22, 117:23, 118:1  <b>ability</b> [17] - 25:12, 27:8, 32:7, 34:1, 34:2, 34:4, 46:16, 57:18, 62:25, 143:13, 164:17, 190:2, 190:17, 297:13, 297:15, 304:20, 349:6  <b>able</b> [28] - 17:19, 34:5, 35:20, 59:14, 65:8, 78:22, 80:4, 139:23, 165:20, 174:8, 197:1, 197:11, 197:12, 232:4, 233:13, 236:12, 269:18, 275:16, 294:23, 304:6, 304:7, 319:18, 319:19, 325:16, 325:18, 332:17, 355:20, 375:23  <b>abnormalities</b> [1] - 189:23  <b>above-ground</b> [1] - 122:13  <b>abreast</b> [1] - 269:4  <b>absence</b> [1] - 199:12  <b>absolutely</b> [13] - 93:8, 143:8, 163:1, 240:7, 265:25, 271:16, 276:18, 281:8, 281:17, 281:20, 282:3, 282:4  <b>abundance</b> [2] - 254:5, 266:21  <b>abundant</b> [1] - 254:2  <b>abuse</b> [3] - 268:4, 334:24, 335:1  <b>abutters</b> [1] - 135:2  <b>abutting</b> [3] - 3:24, 4:10, 285:23  <b>ACC</b> [1] - 268:7  <b>accept</b> [21] - 21:6, 27:8, 126:6, 126:9, 135:15, 139:18, 140:23, 152:13, 161:12, 161:22, 177:15, 186:6, 196:11, 201:11, 213:24, 324:24, 326:19, 334:8, 335:15, 385:17, 385:20  <b>acceptable</b> [7] - 101:18, 127:25, 130:21, 194:22, 234:3, 281:1, 334:1  <b>acceptably</b> [1] -</p>	<p>212:20  <b>acceptance</b> [9] - 90:5, 114:22, 115:9, 116:5, 129:8, 129:9, 129:18, 172:20, 221:3  <b>accepted</b> [14] - 27:21, 28:2, 114:12, 116:12, 127:19, 153:13, 157:13, 165:17, 192:1, 192:3, 244:17, 289:25, 297:2, 332:12  <b>accepting</b> [3] - 9:25, 334:7, 350:1  <b>accepts</b> [4] - 114:15, 139:18, 201:12, 374:9  <b>access</b> [5] - 11:14, 50:9, 244:22, 253:16, 266:11  <b>accessible</b> [1] - 266:25  <b>accessory</b> [1] - 98:17  <b>accommodate</b> [1] - 129:14  <b>accommodated</b> [3] - 115:23, 116:2, 129:11  <b>accommodating</b> [1] - 250:6  <b>accomplished</b> [1] - 340:3  <b>accordance</b> [6] - 84:1, 90:6, 92:25, 119:10, 124:14, 127:23  <b>according</b> [8] - 92:17, 94:9, 96:2, 161:18, 174:3, 317:19, 346:5, 351:8  <b>account</b> [4] - 59:2, 212:22, 272:25, 275:2  <b>accountability</b> [1] - 347:13  <b>accountable</b> [1] - 322:25  <b>accounted</b> [1] - 204:15  <b>accounting</b> [1] - 114:13  <b>accurate</b> [5] - 113:1, 129:18, 200:17, 200:20, 241:17  <b>achieving</b> [2] - 157:20, 161:20  <b>acid</b> [2] - 316:4, 316:5  <b>acknowledge</b> [2] - 268:11, 355:18</p>
<p style="text-align: center;"><b>4</b></p>				
<p><b>4</b> [4] - 135:6, 152:21, 153:1, 153:9  <b>4.5</b> [1] - 97:22  <b>4.8</b> [1] - 80:2  <b>40</b> [8] - 107:5, 294:6, 294:9, 294:11, 335:7, 366:22, 367:6, 373:6  <b>40,000</b> [3] - 263:18, 373:2  <b>40-foot</b> [1] - 81:21  <b>40-mil</b> [1] - 68:18  <b>40-plus</b> [1] - 274:13  <b>400</b> [11] - 19:17, 20:25, 55:17, 90:13, 178:2, 178:5, 329:6, 329:13, 329:22, 330:5, 330:18  <b>400,000</b> [1] - 23:21  <b>401</b> [2] - 90:13, 189:25  <b>419</b> [1] - 372:18  <b>420</b> [1] - 55:16  <b>43</b> [5] - 179:11, 179:22, 180:8, 180:16, 226:7  <b>44,000</b> [1] - 164:22  <b>44,256</b> [1] - 164:20  <b>45</b> [4] - 29:5, 243:8, 292:8, 354:4  <b>45-pound</b> [1] - 356:24  <b>47</b> [2] - 128:18, 201:22  <b>47,000</b> [1] - 165:2  <b>48,000</b> [2] - 263:14, 263:18  <b>49</b> [2] - 111:16, 152:10  <b>4:00</b> [1] - 249:13</p>	<p><b>5</b> [11] - 3:16, 16:4, 184:19, 185:6, 258:8, 276:4, 278:8, 278:20, 285:15, 341:6, 348:25  <b>5.1</b> [3] - 141:17, 141:22, 172:11  <b>5.27</b> [1] - 79:25  <b>5.5</b> [1] - 100:16  <b>50</b> [12] - 26:3, 114:13, 152:15, 153:25, 157:15, 157:21, 161:20, 182:5, 182:16, 324:16, 367:7, 383:9</p>	<p style="text-align: center;"><b>8</b></p> <p><b>8</b> [3] - 184:2, 185:21, 258:8  <b>8,000</b> [3] - 277:4, 279:9, 323:19  <b>80</b> [6] - 32:3, 154:10, 235:21, 235:25, 270:6, 340:9  <b>80-mil</b> [1] - 66:25  <b>800</b> [4] - 54:19, 110:24, 112:9, 112:15  <b>83,000</b> [1] - 148:7  <b>85</b> [1] - 340:10  <b>850</b> [1] - 110:13  <b>88</b> [1] - 332:11  <b>8:00</b> [1] - 364:7  <b>8:30</b> [3] - 286:8, 385:10, 386:7  <b>8th</b> [2] - 3:23, 285:22</p>	<p style="text-align: center;"><b>8</b></p>	
<p><b>400</b> [11] - 19:17, 20:25, 55:17, 90:13, 178:2, 178:5, 329:6, 329:13, 329:22, 330:5, 330:18  <b>400,000</b> [1] - 23:21  <b>401</b> [2] - 90:13, 189:25  <b>419</b> [1] - 372:18  <b>420</b> [1] - 55:16  <b>43</b> [5] - 179:11, 179:22, 180:8, 180:16, 226:7  <b>44,000</b> [1] - 164:22  <b>44,256</b> [1] - 164:20  <b>45</b> [4] - 29:5, 243:8, 292:8, 354:4  <b>45-pound</b> [1] - 356:24  <b>47</b> [2] - 128:18, 201:22  <b>47,000</b> [1] - 165:2  <b>48,000</b> [2] - 263:14, 263:18  <b>49</b> [2] - 111:16, 152:10  <b>4:00</b> [1] - 249:13</p>	<p style="text-align: center;"><b>6</b></p> <p><b>6</b> [5] - 31:6, 117:22, 179:8, 181:3, 183:2  <b>6.2</b> [1] - 44:8  <b>60</b> [5] - 117:23, 118:2, 235:22, 236:2, 373:4  <b>60-mil</b> [3] - 66:23, 68:17, 69:16  <b>600</b> [3] - 146:22, 171:12, 262:12  <b>600,000</b> [3] - 114:12, 116:13, 142:1  <b>62</b> [2] - 23:6, 24:24  <b>66</b> [1] - 312:22  <b>67</b> [1] - 119:23  <b>68</b> [2] - 289:17, 289:19  <b>68.2</b> [1] - 44:8  <b>6:00</b> [3] - 5:7, 282:25, 283:2  <b>6:00</b> [1] - 284:2</p>	<p style="text-align: center;"><b>9</b></p> <p><b>9</b> [3] - 16:3, 74:7, 290:17  <b>9,649</b> [1] - 326:1  <b>9.25</b> [1] - 341:20  <b>9.35</b> [7] - 2:9, 18:7, 52:9, 53:4, 115:4, 284:11, 289:21  <b>9.5</b> [1] - 16:10  <b>90</b> [7] - 22:1, 24:25, 27:22, 32:2, 145:10, 171:24, 301:21  <b>90-degree</b> [1] - 47:17  <b>900</b> [1] - 107:17  <b>900,000</b> [1] - 171:20  <b>9051-9064</b> [2] - 3:16, 285:15  <b>93</b> [1] - 10:10  <b>94</b> [4] - 103:9, 103:11, 103:16, 103:21  <b>95</b> [2] - 242:6, 242:10  <b>950</b> [2] - 110:15, 111:3  <b>97</b> [1] - 332:14  <b>98</b> [1] - 111:16  <b>99,000</b> [2] - 326:3, 326:4  <b>9:00</b> [2] - 2:3, 385:10</p>	<p style="text-align: center;"><b>9</b></p>	
<p style="text-align: center;"><b>5</b></p>	<p style="text-align: center;"><b>7</b></p> <p><b>7</b> [3] - 117:22, 117:25, 118:1  <b>70</b> [5] - 270:6, 304:11, 316:1, 316:7  <b>700,000</b> [11] - 13:23, 62:11, 115:9, 115:13, 116:5, 116:14, 141:25, 142:9, 146:23, 171:12, 172:22  <b>71</b> [1] - 107:15  <b>73</b> [2] - 294:24, 295:2  <b>74</b> [2] - 50:8, 107:14  <b>75</b> [5] - 50:8, 100:21, 101:2, 112:6, 254:8  <b>75,000</b> [1] - 373:4  <b>75-foot</b> [2] - 111:19, 112:2  <b>750</b> [1] - 103:7</p>	<p style="text-align: center;"><b>A</b></p>	<p style="text-align: center;"><b>A</b></p>	
<p><b>5</b> [11] - 3:16, 16:4, 184:19, 185:6, 258:8, 276:4, 278:8, 278:20, 285:15, 341:6, 348:25  <b>5.1</b> [3] - 141:17, 141:22, 172:11  <b>5.27</b> [1] - 79:25  <b>5.5</b> [1] - 100:16  <b>50</b> [12] - 26:3, 114:13, 152:15, 153:25, 157:15, 157:21, 161:20, 182:5, 182:16, 324:16, 367:7, 383:9</p>	<p><b>700,000</b> [11] - 13:23, 62:11, 115:9, 115:13, 116:5, 116:14, 141:25, 142:9, 146:23, 171:12, 172:22  <b>71</b> [1] - 107:15  <b>73</b> [2] - 294:24, 295:2  <b>74</b> [2] - 50:8, 107:14  <b>75</b> [5] - 50:8, 100:21, 101:2, 112:6, 254:8  <b>75,000</b> [1] - 373:4  <b>75-foot</b> [2] - 111:19, 112:2  <b>750</b> [1] - 103:7</p>	<p><b>A.M</b> [1] - 386:7</p>	<p><b>A</b></p>	

<p><b>acquaintance</b> [1] - 249:22</p> <p><b>acquire</b> [2] - 17:19, 306:5</p> <p><b>acquired</b> [8] - 9:22, 10:3, 10:9, 10:16, 221:6, 289:9, 293:19, 294:13</p> <p><b>acquiring</b> [1] - 344:23</p> <p><b>Acquisition</b> [1] - 278:17</p> <p><b>acquisition</b> [2] - 17:9, 296:18</p> <p><b>acre</b> [3] - 99:11, 100:1, 103:21</p> <p><b>acreage</b> [5] - 103:9, 203:16, 203:20, 204:15, 368:7</p> <p><b>acres</b> [46] - 49:13, 50:5, 50:8, 53:12, 53:13, 53:14, 63:9, 75:4, 97:22, 97:23, 99:5, 102:21, 102:23, 103:1, 103:9, 103:11, 103:12, 103:13, 103:16, 103:23, 104:1, 104:7, 104:10, 107:14, 107:23, 107:25, 108:1, 115:4, 115:5, 204:12, 219:18, 220:3, 224:16, 224:17, 224:20, 224:21, 224:24, 224:25, 225:3, 225:4, 289:18, 289:19, 290:6, 290:7, 324:19</p> <p><b>acronyms</b> [1] - 59:24</p> <p><b>Act</b> [23] - 2:13, 2:16, 3:16, 49:12, 50:20, 92:10, 92:11, 176:9, 192:10, 258:21, 261:9, 261:10, 263:2, 263:7, 264:11, 285:15, 286:20, 289:24, 291:18, 315:11, 345:19, 346:17, 352:14</p> <p><b>act</b> [3] - 45:22, 108:18, 247:21</p> <p><b>acting</b> [3] - 108:13, 289:14, 336:18</p> <p><b>Action</b> [1] - 347:23</p> <p><b>action</b> [8] - 44:21, 44:22, 214:3, 214:5, 214:12, 234:13, 334:10, 349:17</p>	<p><b>actions</b> [2] - 234:11, 322:25</p> <p><b>active</b> [9] - 82:2, 120:6, 121:11, 121:22, 122:8, 123:24, 198:7, 198:19, 240:17</p> <p><b>actively</b> [3] - 19:11, 21:17, 295:7</p> <p><b>activities</b> [5] - 50:2, 84:2, 95:20, 190:13, 232:1</p> <p><b>activity</b> [11] - 65:14, 131:17, 189:24, 209:9, 216:21, 244:16, 258:9, 297:5, 329:8, 329:9, 330:19</p> <p><b>acts</b> [1] - 180:4</p> <p><b>actual</b> [23] - 50:4, 50:6, 52:1, 53:1, 54:1, 54:6, 57:5, 70:25, 79:18, 79:22, 79:23, 83:17, 85:9, 89:16, 92:2, 100:20, 164:17, 207:7, 255:4, 257:16, 269:14, 270:3, 280:4</p> <p><b>acute</b> [2] - 239:25, 248:17</p> <p><b>Adams</b> [3] - 297:20, 298:9, 299:24</p> <p><b>ADAMS</b> [3] - 299:20, 299:22, 299:24</p> <p><b>adapted</b> [1] - 275:11</p> <p><b>add</b> [6] - 37:5, 210:23, 211:16, 229:10, 231:12, 316:6</p> <p><b>added</b> [1] - 210:23</p> <p><b>addendum</b> [1] - 259:6</p> <p><b>adding</b> [3] - 182:18, 210:12, 210:17</p> <p><b>addition</b> [18] - 24:17, 26:3, 50:6, 76:4, 80:11, 80:16, 119:15, 126:3, 155:22, 183:9, 199:15, 238:14, 294:19, 295:25, 296:10, 304:12, 329:3, 330:21</p> <p><b>additional</b> [28] - 5:9, 7:6, 27:3, 34:14, 41:3, 52:11, 79:13, 104:4, 107:1, 111:8, 111:14, 135:6, 160:13, 161:5, 170:14, 203:24, 204:20, 213:12, 213:15, 225:22,</p>	<p>226:3, 227:4, 292:20, 295:3, 295:12, 295:13, 331:18, 377:18</p> <p><b>additionally</b> [9] - 37:5, 109:16, 116:24, 118:4, 122:5, 124:6, 125:18, 237:9, 243:21</p> <p><b>address</b> [18] - 15:2, 16:19, 42:14, 45:24, 49:10, 70:24, 76:20, 109:3, 217:3, 225:10, 260:8, 272:24, 287:11, 315:8, 330:4, 330:6, 330:15, 385:23</p> <p><b>addressed</b> [4] - 57:22, 63:3, 133:1, 227:17</p> <p><b>addresses</b> [2] - 190:7, 220:4</p> <p><b>addressing</b> [1] - 288:17</p> <p><b>adds</b> [2] - 107:24, 231:23</p> <p><b>adequate</b> [4] - 192:11, 244:4, 244:13, 249:2</p> <p><b>adequately</b> [2] - 123:4, 129:10</p> <p><b>adhere</b> [1] - 328:19</p> <p><b>adjacency</b> [1] - 112:2</p> <p><b>adjacent</b> [7] - 31:22, 42:22, 43:7, 101:14, 185:22, 258:12, 330:8</p> <p><b>adjourn</b> [2] - 282:25, 385:9</p> <p><b>adjust</b> [1] - 123:14</p> <p><b>adjusted</b> [2] - 11:6, 274:14</p> <p><b>administration</b> [1] - 50:11</p> <p><b>Administrative</b> [4] - 1:20, 3:15, 12:4, 285:14</p> <p><b>administrative</b> [2] - 3:7, 285:2</p> <p><b>administrator</b> [3] - 8:24, 108:14, 108:18</p> <p><b>admissions</b> [1] - 317:23</p> <p><b>admitted</b> [2] - 201:22, 351:13</p> <p><b>adopted</b> [2] - 362:5, 372:18</p> <p><b>adults</b> [1] - 252:22</p> <p><b>advance</b> [1] - 4:13</p> <p><b>Advancement</b> [1] - 251:4</p> <p><b>advantage</b> [2] - 21:20,</p>	<p>68:20</p> <p><b>advantages</b> [1] - 53:6</p> <p><b>adverse</b> [3] - 109:19, 259:7, 308:2</p> <p><b>adversely</b> [2] - 308:8, 321:18</p> <p><b>advisories</b> [1] - 351:18</p> <p><b>Advisory</b> [11] - 13:5, 117:8, 125:24, 128:20, 129:1, 131:18, 168:10, 168:18, 212:10, 244:19, 338:1</p> <p><b>advocate</b> [2] - 251:10, 328:13</p> <p><b>aerate</b> [1] - 243:23</p> <p><b>aerating</b> [1] - 357:14</p> <p><b>aeration</b> [2] - 356:7, 357:25</p> <p><b>aerator</b> [1] - 356:11</p> <p><b>aerators</b> [4] - 356:12, 356:15, 356:18, 356:20</p> <p><b>aerial</b> [3] - 111:2, 179:19, 245:22</p> <p><b>aerobic</b> [1] - 241:5</p> <p><b>aesthetics</b> [1] - 245:14</p> <p><b>affairs</b> [1] - 9:2</p> <p><b>affect</b> [9] - 41:15, 110:8, 155:18, 190:2, 236:23, 260:6, 262:17, 321:18, 380:17</p> <p><b>affected</b> [9] - 3:25, 258:16, 259:18, 285:24, 308:8, 311:3, 323:15, 344:8, 351:11</p> <p><b>affecting</b> [1] - 346:14</p> <p><b>affects</b> [1] - 32:21</p> <p><b>affiliation</b> [1] - 287:21</p> <p><b>affirm</b> [2] - 6:12, 298:2</p> <p><b>AFFIRMATIVE</b> [2] - 6:15, 298:5</p> <p><b>affordable</b> [2] - 304:21, 368:1</p> <p><b>aftermarket</b> [1] - 237:15</p> <p><b>afternoon</b> [7] - 4:25, 5:2, 5:3, 18:5, 292:18, 329:1, 329:12</p> <p><b>age</b> [2] - 34:13, 351:23</p> <p><b>agencies</b> [4] - 12:11, 101:25, 108:17, 110:3</p> <p><b>Agency</b> [1] - 352:1</p> <p><b>agency</b> [3] - 8:2, 12:6, 337:6</p>	<p><b>agenda</b> [1] - 169:9</p> <p><b>aggregate</b> [1] - 379:12</p> <p><b>aggregates</b> [1] - 295:14</p> <p><b>ago</b> [22] - 38:5, 40:19, 47:9, 57:12, 77:10, 148:7, 154:16, 230:25, 247:23, 266:7, 293:21, 295:22, 302:1, 338:15, 348:22, 361:7, 361:14, 383:4, 383:19, 383:23, 383:25</p> <p><b>agree</b> [5] - 75:18, 180:19, 279:13, 280:20, 382:3</p> <p><b>Agreement</b> [6] - 12:15, 130:25, 133:5, 133:9, 289:12, 337:10</p> <p><b>agreement</b> [8] - 10:24, 10:25, 11:6, 11:13, 24:20, 108:12, 344:12, 376:11</p> <p><b>agreements</b> [1] - 11:16</p> <p><b>Agri</b> [1] - 302:8</p> <p><b>agricultural</b> [1] - 165:9</p> <p><b>ahead</b> [8] - 46:24, 48:6, 129:24, 141:13, 147:9, 195:15, 249:19, 284:4</p> <p><b>AHLERS</b> [22] - 138:18, 139:7, 140:10, 140:14, 140:21, 140:25, 141:4, 141:8, 213:4, 214:2, 214:17, 215:9, 216:3, 216:10, 216:17, 217:16, 217:25, 219:10, 220:1, 220:15, 223:22, 224:12</p> <p><b>Ahlers</b> [3] - 1:14, 2:24, 284:19</p> <p><b>Aho</b> [3] - 326:5, 336:24, 337:15</p> <p><b>Aho's</b> [1] - 339:23</p> <p><b>Air</b> [3] - 176:9, 198:1, 374:11</p> <p><b>air</b> [21] - 118:21, 118:24, 119:2, 119:5, 119:10, 119:15, 124:15, 129:14, 188:13, 188:14, 241:4, 242:5, 243:25,</p>
--	---	--	---	--

<p>287:5, 324:10, 329:18, 331:5, 333:8, 345:1, 347:13</p> <p><b>airlift</b> [1] - 207:16</p> <p><b>airspace</b> [1] - 73:12</p> <p><b>alarm</b> [5] - 118:15, 236:20, 236:24, 238:1, 240:1</p> <p><b>alarms</b> [8] - 118:6, 118:7, 118:11, 125:10, 236:6, 236:14, 237:5, 237:14</p> <p><b>Albert</b> [2] - 299:18, 299:19</p> <p><b>alcohol</b> [1] - 316:3</p> <p><b>alewife</b> [6] - 254:3, 254:6, 266:21, 267:5, 267:11</p> <p><b>alike</b> [1] - 311:6</p> <p><b>alive</b> [1] - 316:10</p> <p><b>all-lined</b> [1] - 77:3</p> <p><b>Allen</b> [1] - 259:16</p> <p><b>Alley</b> [4] - 3:12, 285:7, 285:8</p> <p><b>allotment</b> [1] - 149:23</p> <p><b>allow</b> [23] - 25:13, 27:1, 27:3, 66:10, 69:1, 69:8, 77:19, 97:10, 105:18, 105:25, 142:12, 144:4, 160:12, 212:13, 221:20, 253:15, 256:18, 313:10, 321:15, 322:1, 368:16, 376:4</p> <p><b>allowable</b> [1] - 264:13</p> <p><b>allowed</b> [9] - 6:6, 61:2, 147:6, 160:23, 212:15, 262:2, 281:15, 323:20, 335:12</p> <p><b>allowing</b> [9] - 32:3, 101:13, 118:12, 184:4, 326:25, 332:9, 335:8, 336:15, 343:13</p> <p><b>allows</b> [16] - 22:16, 37:2, 46:6, 62:20, 62:21, 88:11, 100:17, 101:11, 121:5, 122:20, 122:21, 122:22, 123:11, 322:23, 340:12, 378:2</p> <p><b>almost</b> [6] - 36:23, 273:22, 326:3, 326:4, 346:5, 366:20</p> <p><b>alone</b> [2] - 261:11, 345:5</p>	<p><b>Alpha</b> [1] - 191:10</p> <p><b>alter</b> [1] - 230:8</p> <p><b>alteration</b> [1] - 245:10</p> <p><b>alterations</b> [2] - 92:3, 99:3</p> <p><b>alternate</b> [4] - 51:11, 152:19, 296:13, 296:15</p> <p><b>alternation</b> [1] - 96:22</p> <p><b>alternations</b> [1] - 105:21</p> <p><b>alternative</b> [20] - 15:13, 15:14, 50:19, 50:22, 51:12, 51:13, 52:5, 52:6, 52:15, 121:20, 121:24, 159:17, 331:4, 369:21, 369:22, 369:24, 370:1, 370:2, 371:1, 373:17</p> <p><b>alternatives</b> [11] - 28:5, 49:11, 49:23, 50:21, 52:17, 53:13, 97:16, 97:21, 184:23, 341:25, 372:22</p> <p><b>Alton</b> [14] - 2:10, 11:13, 11:15, 11:21, 13:7, 131:19, 134:11, 168:25, 284:13, 289:8, 370:12, 381:1, 381:5, 384:9</p> <p><b>Alvin</b> [4] - 1:14, 2:24, 213:3, 284:19</p> <p><b>Amanda</b> [2] - 380:24, 380:25</p> <p><b>ambient</b> [3] - 119:5, 119:15, 329:18</p> <p><b>amend</b> [1] - 132:15</p> <p><b>amendment</b> [1] - 148:6</p> <p><b>America</b> [3] - 18:24, 113:17, 315:12</p> <p><b>American</b> [3] - 254:8, 254:11, 266:22</p> <p><b>Americans</b> [2] - 254:14, 347:10</p> <p><b>Amherst</b> [1] - 351:10</p> <p><b>amount</b> [46] - 16:14, 20:10, 20:14, 28:19, 28:22, 46:3, 52:8, 52:18, 52:24, 54:2, 54:23, 66:13, 69:12, 83:12, 120:15, 134:19, 147:9, 148:1, 148:17, 153:12, 154:21, 161:22, 161:24, 163:3, 181:19,</p>	<p>203:16, 203:20, 205:21, 217:8, 244:4, 293:25, 295:5, 295:6, 296:25, 297:12, 320:23, 329:1, 331:20, 339:7, 339:13, 348:10, 351:23, 366:25, 374:18, 381:24, 381:25</p> <p><b>amounts</b> [4] - 134:15, 275:17, 326:6, 337:20</p> <p><b>ample</b> [2] - 28:13, 330:9</p> <p><b>anaerobic</b> [5] - 199:12, 307:1, 374:9, 374:12, 374:14</p> <p><b>analyses</b> [3] - 56:14, 60:14, 86:13</p> <p><b>analysis</b> [36] - 8:7, 42:17, 42:25, 44:6, 44:16, 49:23, 50:19, 56:7, 56:17, 56:24, 58:9, 58:13, 58:20, 58:24, 59:18, 60:6, 60:7, 60:21, 61:6, 61:10, 63:18, 84:25, 85:24, 86:1, 97:16, 179:13, 187:8, 190:21, 191:11, 191:19, 192:18, 213:18, 228:8, 232:10, 262:13</p> <p><b>analyst</b> [2] - 3:5, 284:25</p> <p><b>Analyst</b> [1] - 1:19</p> <p><b>analytical</b> [1] - 224:4</p> <p><b>analyzed</b> [1] - 154:20</p> <p><b>analyzing</b> [1] - 191:25</p> <p><b>anatomy</b> [1] - 315:25</p> <p><b>ancient</b> [1] - 36:6</p> <p><b>Andrea</b> [1] - 350:17</p> <p><b>Andrew</b> [3] - 377:2, 377:3, 377:7</p> <p><b>Andy</b> [2] - 347:20, 347:21</p> <p><b>angle</b> [1] - 36:24</p> <p><b>angles</b> [2] - 37:1, 37:5</p> <p><b>animals</b> [2] - 353:22, 354:14</p> <p><b>Ann</b> [3] - 1:20, 3:6, 285:1</p> <p><b>annoying</b> [1] - 330:2</p> <p><b>annual</b> [17] - 126:4, 134:13, 141:25, 146:14, 148:19, 151:14, 154:7,</p>	<p>154:8, 156:16, 157:10, 161:19, 170:21, 170:25, 177:1, 189:21, 231:18, 332:18</p> <p><b>annually</b> [5] - 26:19, 157:17, 172:22, 176:25, 254:16</p> <p><b>annulus</b> [2] - 78:5, 187:22</p> <p><b>answer</b> [15] - 14:9, 65:15, 132:2, 132:12, 145:4, 158:8, 181:11, 187:1, 197:24, 207:3, 218:6, 223:21, 349:22, 350:10, 375:3</p> <p><b>answered</b> [3] - 241:10, 267:23, 350:3</p> <p><b>anthropogenic</b> [3] - 252:16, 268:7, 268:12</p> <p><b>anticipate</b> [5] - 79:15, 109:19, 147:8, 172:21, 274:24</p> <p><b>anticipated</b> [5] - 115:18, 116:5, 116:6, 230:17, 263:12</p> <p><b>anyhow</b> [1] - 364:9</p> <p><b>anytime</b> [1] - 378:12</p> <p><b>anyway</b> [6] - 65:22, 145:3, 311:18, 355:16, 356:15, 357:22</p> <p><b>aorta</b> [1] - 317:2</p> <p><b>apart</b> [1] - 174:12</p> <p><b>apologize</b> [10] - 64:13, 153:7, 222:11, 254:21, 264:7, 265:20, 270:14, 270:23, 275:24, 276:15</p> <p><b>Appalachian</b> [1] - 47:12</p> <p><b>apparent</b> [3] - 329:4, 330:15, 346:3</p> <p><b>appealed</b> [1] - 166:3</p> <p><b>appear</b> [2] - 152:12, 262:16</p> <p><b>Appendix</b> [1] - 187:12</p> <p><b>appendix</b> [2] - 187:13, 246:18</p> <p><b>applaud</b> [1] - 314:25</p> <p><b>apples</b> [2] - 23:24</p> <p><b>applicable</b> [5] - 119:4, 119:5, 161:17, 329:9, 330:19</p>	<p><b>applicant</b> [15] - 4:4, 4:23, 7:10, 7:18, 8:18, 20:6, 22:7, 271:6, 271:8, 276:2, 286:3, 289:23, 331:8, 332:17, 333:24</p> <p><b>applicant's</b> [3] - 4:5, 4:24, 286:4</p> <p><b>applicants</b> [1] - 276:22</p> <p><b>Application</b> [2] - 6:25, 21:13</p> <p><b>application</b> [84] - 2:14, 2:16, 4:16, 4:20, 6:19, 7:25, 10:8, 15:17, 16:2, 26:17, 35:1, 35:2, 49:13, 50:21, 52:10, 53:16, 64:4, 80:1, 80:14, 88:21, 89:5, 109:2, 109:7, 109:18, 109:23, 112:25, 122:8, 131:6, 146:9, 148:9, 154:15, 164:24, 165:3, 165:8, 165:24, 166:3, 172:6, 176:11, 177:25, 178:16, 187:7, 187:12, 192:19, 204:13, 204:14, 204:16, 207:17, 209:11, 225:21, 225:22, 226:4, 226:5, 258:5, 259:1, 259:22, 261:12, 262:10, 268:10, 272:23, 274:2, 274:4, 277:7, 280:8, 284:10, 286:11, 286:15, 286:19, 288:23, 288:25, 289:2, 290:20, 291:18, 326:14, 329:5, 330:3, 330:6, 330:22, 330:24, 334:25, 337:1, 339:20, 348:2, 356:25, 372:19</p> <p><b>application's</b> [1] - 330:15</p> <p><b>APPLICATIONS</b> [1] - 1:5</p> <p><b>Applications</b> [1] - 2:7</p> <p><b>applications</b> [5] - 2:12, 48:16, 172:2, 289:24, 290:1</p> <p><b>applied</b> [10] - 15:8,</p>
---	---	--	--	--

<p>25:17, 26:13, 146:7, 146:12, 164:25, 165:17, 172:1, 331:6, 373:17</p> <p><b>applies</b> [1] - 165:9</p> <p><b>apply</b> [6] - 88:13, 165:20, 176:10, 177:3, 222:5, 334:2</p> <p><b>applying</b> [2] - 211:11, 372:21</p> <p><b>appointed</b> [1] - 169:2</p> <p><b>appreciate</b> [15] - 48:3, 71:6, 74:2, 93:7, 129:25, 163:25, 250:13, 315:20, 328:14, 333:1, 341:2, 364:6, 364:19, 385:2, 385:6</p> <p><b>appreciated</b> [1] - 298:16</p> <p><b>appreciation</b> [1] - 82:10</p> <p><b>apprised</b> [1] - 169:15</p> <p><b>approach</b> [11] - 19:21, 33:19, 34:17, 34:20, 54:17, 56:21, 64:8, 123:11, 228:22, 228:23</p> <p><b>approaches</b> [1] - 54:24</p> <p><b>approaching</b> [2] - 251:21, 269:24</p> <p><b>appropriate</b> [13] - 22:1, 22:3, 37:16, 44:21, 58:14, 145:1, 184:5, 184:12, 184:14, 194:7, 217:11, 301:14, 337:14</p> <p><b>appropriately</b> [3] - 46:7, 144:14, 341:6</p> <p><b>approval</b> [7] - 89:23, 109:1, 126:21, 290:22, 329:5, 336:22, 338:10</p> <p><b>approve</b> [6] - 62:4, 222:14, 313:21, 378:13, 382:12, 382:13</p> <p><b>approved</b> [19] - 13:22, 16:14, 89:3, 94:13, 100:18, 101:4, 108:17, 122:14, 128:8, 219:19, 222:18, 227:16, 230:3, 232:4, 232:14, 342:3, 363:5, 373:8, 382:11</p> <p><b>approximate</b> [1] - 182:17</p>	<p><b>April</b> [1] - 274:8</p> <p><b>aquatic</b> [4] - 250:22, 250:25, 258:12, 258:14</p> <p><b>aquifer</b> [6] - 41:11, 42:23, 43:15, 57:9, 185:23, 186:4</p> <p><b>aquifers</b> [1] - 57:11</p> <p><b>arbitrary</b> [2] - 154:13, 297:12</p> <p><b>ARC</b> [2] - 151:9, 154:8</p> <p><b>area</b> [129] - 3:25, 4:9, 30:9, 30:11, 31:19, 37:20, 48:12, 50:8, 51:17, 52:4, 57:23, 62:18, 63:5, 63:8, 63:9, 75:5, 77:4, 78:19, 80:1, 87:21, 88:6, 93:10, 93:11, 93:22, 93:24, 93:25, 94:3, 94:6, 94:16, 95:1, 95:4, 95:8, 95:16, 96:12, 100:7, 102:5, 103:25, 104:1, 104:13, 104:15, 104:16, 104:17, 104:19, 104:21, 105:3, 105:6, 106:16, 106:23, 107:10, 107:11, 107:14, 107:16, 107:19, 107:21, 108:1, 108:20, 109:15, 111:6, 111:7, 112:3, 112:5, 121:11, 121:12, 121:23, 189:3, 193:4, 193:11, 195:1, 199:8, 205:3, 205:4, 205:5, 205:9, 205:10, 206:1, 206:3, 207:23, 208:20, 215:10, 215:22, 218:23, 219:3, 219:5, 219:6, 219:8, 219:9, 219:17, 219:24, 220:6, 220:9, 220:10, 220:11, 224:20, 225:2, 225:4, 226:13, 231:7, 238:9, 240:17, 246:12, 246:16, 247:3, 247:4, 258:18, 262:15, 285:24, 290:4, 290:24, 291:1, 291:2, 291:3, 294:8, 310:14,</p>	<p>313:5, 333:14, 351:5, 352:19, 354:14, 361:2, 361:13, 361:14, 367:22, 368:2, 368:14</p> <p><b>areas</b> [43] - 29:6, 37:21, 40:6, 40:8, 40:10, 55:22, 63:13, 63:14, 63:16, 63:21, 82:12, 85:15, 85:16, 87:25, 88:2, 93:20, 93:21, 93:25, 98:17, 105:6, 106:5, 106:10, 117:20, 120:6, 180:2, 180:17, 181:17, 181:18, 199:4, 199:11, 204:23, 205:2, 205:6, 205:8, 205:10, 205:12, 210:25, 231:3, 235:10, 250:17, 290:10, 290:11</p> <p><b>arena</b> [1] - 306:4</p> <p><b>argue</b> [5] - 196:25, 263:20, 274:11, 275:8, 276:25</p> <p><b>arguing</b> [2] - 16:5, 153:14</p> <p><b>argument</b> [2] - 157:9, 158:2</p> <p><b>arguments</b> [2] - 158:14, 343:17</p> <p><b>Argyle</b> [1] - 320:7</p> <p><b>arise</b> [3] - 124:5, 125:11, 307:16</p> <p><b>Arizona</b> [1] - 346:9</p> <p><b>Army</b> [5] - 91:25, 92:11, 102:9, 203:17, 224:16</p> <p><b>arrival</b> [1] - 185:7</p> <p><b>arrived</b> [2] - 127:11, 247:6</p> <p><b>arrives</b> [1] - 22:12</p> <p><b>arsenic</b> [5] - 263:25, 357:6, 357:9, 357:12, 357:14</p> <p><b>art</b> [1] - 377:7</p> <p><b>artificially</b> [1] - 162:23</p> <p><b>ascertain</b> [1] - 177:3</p> <p><b>ash</b> [10] - 25:3, 25:15, 121:14, 126:14, 135:19, 201:1, 304:2, 304:6, 334:12</p> <p><b>ashes</b> [5] - 15:11, 25:16, 25:17, 26:4, 122:3</p> <p><b>aside</b> [9] - 27:18, 177:4, 184:6,</p>	<p>204:12, 204:19, 205:13, 219:17, 257:16, 308:14</p> <p><b>aspect</b> [1] - 160:21</p> <p><b>aspects</b> [4] - 20:16, 55:5, 76:5, 253:12</p> <p><b>asphalt</b> [3] - 379:11, 379:14, 379:16</p> <p><b>asserts</b> [1] - 331:8</p> <p><b>assess</b> [2] - 246:12, 246:19</p> <p><b>assesses</b> [3] - 96:5, 245:8, 245:12</p> <p><b>assessing</b> [1] - 274:11</p> <p><b>assessment</b> [12] - 27:17, 96:1, 96:11, 115:25, 117:16, 117:21, 218:8, 218:14, 245:16, 245:19, 352:4</p> <p><b>assessments</b> [3] - 91:9, 91:11, 97:13</p> <p><b>assign</b> [1] - 245:17</p> <p><b>assigns</b> [1] - 260:13</p> <p><b>assimilated</b> [1] - 254:18</p> <p><b>assist</b> [1] - 376:14</p> <p><b>Assistant</b> [3] - 1:19, 1:20, 7:20</p> <p><b>assistant</b> [6] - 3:2, 3:7, 259:15, 284:22, 285:2, 318:4</p> <p><b>assisting</b> [2] - 21:19, 39:10</p> <p><b>associate</b> [1] - 250:14</p> <p><b>associated</b> [16] - 20:21, 44:11, 49:14, 53:15, 75:21, 99:12, 99:14, 109:20, 120:11, 120:18, 120:24, 192:20, 232:2, 272:22, 275:10, 291:20</p> <p><b>associates</b> [1] - 52:25</p> <p><b>Associates</b> [3] - 8:6, 8:8, 117:15</p> <p><b>Association</b> [4] - 9:3, 18:23, 94:9, 113:17</p> <p><b>assume</b> [7] - 43:7, 60:14, 60:15, 138:10, 171:7, 206:20, 207:1</p> <p><b>assumed</b> [3] - 43:23, 43:25, 132:1</p> <p><b>assumes</b> [1] - 260:21</p> <p><b>assuming</b> [8] - 139:9, 156:21, 196:3, 213:14, 219:11, 222:17, 228:23, 232:14</p>	<p><b>assumption</b> [2] - 271:5, 273:7</p> <p><b>assumptions</b> [4] - 56:16, 56:23, 171:6, 171:21</p> <p><b>assurance</b> [1] - 59:23</p> <p><b>assurance/quality</b> [1] - 89:10</p> <p><b>assure</b> [7] - 122:16, 124:3, 126:22, 127:14, 127:19, 306:15, 361:23</p> <p><b>asthma</b> [1] - 345:7</p> <p><b>asthmatic</b> [1] - 333:11</p> <p><b>ASTM</b> [1] - 211:20</p> <p><b>astounding</b> [1] - 320:18</p> <p><b>AT</b> [1] - 1:18</p> <p><b>ate</b> [1] - 352:5</p> <p><b>Atlantic</b> [32] - 92:6, 92:7, 109:4, 109:15, 110:8, 110:20, 111:10, 112:10, 192:6, 192:15, 193:6, 252:9, 252:19, 254:9, 257:1, 257:3, 257:11, 258:1, 258:19, 258:22, 259:17, 259:19, 259:23, 261:7, 262:25, 263:24, 264:19, 275:10, 336:12, 350:23, 352:21</p> <p><b>atmosphere</b> [1] - 269:18</p> <p><b>atmospheric</b> [1] - 269:22</p> <p><b>ATSDR</b> [1] - 352:2</p> <p><b>attachment</b> [2] - 259:13, 259:14</p> <p><b>attachments</b> [1] - 331:18</p> <p><b>attempt</b> [5] - 154:25, 155:7, 177:14, 266:3, 323:17</p> <p><b>attempted</b> [2] - 163:18, 330:4</p> <p><b>attempting</b> [1] - 162:20</p> <p><b>attempts</b> [2] - 181:6, 349:4</p> <p><b>attendant</b> [2] - 223:5, 223:6</p> <p><b>attended</b> [1] - 363:22</p> <p><b>attendees</b> [1] - 6:22</p> <p><b>attends</b> [1] - 169:16</p> <p><b>attention</b> [3] - 332:25, 342:4, 342:10</p>
--	---	--	--	---

<p><b>attorney</b> [2] - 3:3, 284:22</p> <p><b>Attorney</b> [2] - 1:19, 7:20</p> <p><b>attract</b> [1] - 326:10</p> <p><b>attributed</b> [1] - 189:23</p> <p><b>attributing</b> [1] - 190:12</p> <p><b>Atwood</b> [2] - 7:15, 342:13</p> <p><b>Auburn</b> [1] - 148:14</p> <p><b>audience</b> [2] - 224:18, 385:4</p> <p><b>audit</b> [2] - 220:21, 341:23</p> <p><b>auger</b> [3] - 187:20, 187:22, 187:23</p> <p><b>augmented</b> [3] - 70:3, 70:10, 210:10</p> <p><b>August</b> [2] - 289:25, 293:21</p> <p><b>Augusta</b> [1] - 360:5</p> <p><b>Aunt</b> [1] - 383:21</p> <p><b>authority</b> [3] - 143:12, 287:11, 337:7</p> <p><b>Authority</b> [1] - 374:16</p> <p><b>automated</b> [1] - 22:20</p> <p><b>automatically</b> [1] - 124:5</p> <p><b>availability</b> [1] - 20:19</p> <p><b>available</b> [24] - 4:17, 4:21, 5:23, 18:4, 88:22, 119:21, 122:4, 179:24, 180:13, 185:16, 208:11, 210:13, 211:11, 234:19, 245:20, 245:23, 277:17, 286:12, 286:16, 292:17, 295:24, 296:14, 297:7, 319:9</p> <p><b>avenue</b> [1] - 200:21</p> <p><b>average</b> [5] - 263:14, 263:17, 277:4, 278:25, 279:9</p> <p><b>avoid</b> [8] - 25:8, 97:18, 98:11, 113:7, 113:8, 135:8, 170:16, 240:5</p> <p><b>avoidance</b> [2] - 92:1, 97:14</p> <p><b>avoided</b> [1] - 113:11</p> <p><b>avoiding</b> [1] - 155:1</p> <p><b>awake</b> [1] - 114:6</p> <p><b>awakened</b> [1] - 354:4</p> <p><b>awarded</b> [1] - 10:18</p> <p><b>aware</b> [13] - 13:17, 17:13, 133:8, 136:17, 136:20,</p>	<p>136:25, 149:22, 166:2, 173:8, 203:11, 281:4, 281:10, 312:7</p> <p style="text-align: center;"><b>B</b></p> <p><b>bachelor</b> [4] - 9:6, 18:19, 48:22, 91:3</p> <p><b>bachelor's</b> [2] - 29:12, 29:15</p> <p><b>backed</b> [2] - 67:15, 338:8</p> <p><b>backfilled</b> [1] - 187:24</p> <p><b>background</b> [2] - 9:17, 29:12</p> <p><b>backing</b> [4] - 237:1, 237:25, 238:3, 238:4</p> <p><b>backroom</b> [1] - 321:3</p> <p><b>backup</b> [13] - 80:9, 80:15, 118:5, 118:7, 118:11, 170:3, 236:6, 237:25, 241:23, 242:4, 243:4, 374:4, 374:25</p> <p><b>backyard</b> [7] - 318:12, 318:14, 367:25, 368:3, 370:5, 370:8, 371:14</p> <p><b>bacteria</b> [3] - 243:5, 243:23, 353:6</p> <p><b>bad</b> [3] - 348:8, 364:21, 381:14</p> <p><b>bag</b> [1] - 124:21</p> <p><b>balance</b> [2] - 86:3, 199:22</p> <p><b>balancing</b> [1] - 192:2</p> <p><b>bale</b> [2] - 23:9, 241:6</p> <p><b>baling</b> [1] - 22:19</p> <p><b>balloons</b> [1] - 323:11</p> <p><b>balls</b> [1] - 355:22</p> <p><b>ban</b> [1] - 143:11</p> <p><b>Bangor</b> [6] - 1:10, 2:2, 3:22, 285:21, 361:13, 377:1</p> <p><b>banned</b> [1] - 9:20</p> <p><b>Bar</b> [1] - 313:2</p> <p><b>Barden</b> [20] - 8:19, 9:12, 14:11, 128:11, 128:19, 130:17, 130:18, 136:7, 136:16, 137:17, 147:2, 149:1, 158:25, 160:9, 168:8, 170:13, 172:9, 172:16, 175:1</p> <p><b>BARDEN</b> [48] - 9:13, 15:1, 16:17, 16:24, 17:13, 17:17, 17:24, 131:4, 131:8,</p>	<p>131:25, 132:10, 132:19, 132:25, 133:8, 133:12, 133:20, 133:23, 134:6, 134:18, 134:24, 135:4, 135:13, 135:21, 136:3, 136:23, 137:4, 137:10, 137:21, 138:4, 138:10, 147:11, 147:19, 148:5, 149:20, 150:10, 159:3, 159:6, 159:13, 159:16, 160:1, 160:4, 161:1, 161:14, 162:7, 162:12, 168:14, 169:10, 170:20</p> <p><b>barely</b> [1] - 238:2</p> <p><b>barrels</b> [1] - 307:20</p> <p><b>barrier</b> [10] - 40:9, 59:6, 72:11, 180:4, 213:19, 226:16, 227:12, 317:3, 317:4, 317:5</p> <p><b>barriers</b> [4] - 352:22, 352:23, 353:9, 369:14</p> <p><b>Barry</b> [2] - 309:9, 312:16</p> <p><b>base</b> [13] - 25:6, 44:17, 58:5, 62:14, 63:6, 63:15, 64:20, 69:19, 69:24, 71:2, 188:8, 211:1, 369:14</p> <p><b>Base</b> [2] - 374:11</p> <p><b>based</b> [48] - 19:21, 23:5, 51:14, 51:18, 52:2, 53:25, 54:11, 54:18, 59:19, 83:14, 83:20, 86:21, 87:15, 90:14, 117:21, 123:15, 130:19, 141:23, 142:7, 146:25, 157:9, 170:20, 171:21, 172:20, 179:18, 184:17, 191:9, 192:1, 193:8, 221:15, 223:10, 232:10, 245:18, 248:25, 251:25, 259:3, 259:22, 261:15, 261:17, 266:2, 268:20, 273:7, 273:16, 274:7, 274:12, 329:15, 360:4, 378:14</p>	<p><b>basement</b> [1] - 206:21</p> <p><b>bases</b> [1] - 53:20</p> <p><b>basic</b> [4] - 17:21, 242:13, 269:17, 345:1</p> <p><b>basing</b> [1] - 268:18</p> <p><b>basis</b> [13] - 13:6, 38:1, 45:7, 49:24, 53:17, 148:19, 157:25, 244:20, 261:10, 339:16, 341:15, 369:11, 380:14</p> <p><b>bass</b> [2] - 254:11, 318:20</p> <p><b>battery</b> [2] - 316:4, 316:5</p> <p><b>Bay</b> [1] - 321:18</p> <p><b>bear</b> [2] - 325:7, 358:22</p> <p><b>beautiful</b> [2] - 47:17, 352:21</p> <p><b>beauty</b> [2] - 320:18, 370:16</p> <p><b>beaver</b> [3] - 105:7, 106:10, 106:12</p> <p><b>became</b> [3] - 17:18, 372:20, 374:20</p> <p><b>become</b> [8] - 122:4, 186:9, 188:14, 209:3, 303:13, 327:15, 335:13, 339:9</p> <p><b>becomes</b> [2] - 36:11, 175:17</p> <p><b>becoming</b> [1] - 292:14</p> <p><b>bed</b> [1] - 317:1</p> <p><b>bedrock</b> [46] - 31:2, 32:1, 32:5, 32:15, 32:16, 32:18, 32:19, 32:24, 36:7, 36:8, 36:13, 37:3, 37:4, 37:25, 38:4, 38:16, 38:24, 39:3, 39:4, 39:7, 39:16, 39:22, 40:22, 40:24, 41:1, 41:6, 41:8, 41:19, 45:19, 47:13, 57:23, 57:25, 58:8, 58:23, 61:5, 63:16, 179:22, 180:12, 190:9, 211:1, 213:10, 213:21, 226:23, 228:19, 306:14</p> <p><b>beds</b> [2] - 316:13, 316:14</p> <p><b>beeping</b> [5] - 118:7, 118:9, 118:10, 118:15, 236:24</p> <p><b>began</b> [2] - 92:12, 242:9</p>	<p><b>begin</b> [4] - 4:22, 6:17, 30:7, 227:24</p> <p><b>beginning</b> [7] - 2:3, 172:4, 267:16, 283:2, 315:1, 339:4, 365:23</p> <p><b>begins</b> [1] - 336:7</p> <p><b>begun</b> [1] - 154:21</p> <p><b>behalf</b> [4] - 14:23, 249:17, 293:12, 301:10</p> <p><b>behave</b> [2] - 213:22, 226:12</p> <p><b>behaved</b> [1] - 180:9</p> <p><b>behaves</b> [2] - 38:12, 40:22</p> <p><b>behaving</b> [1] - 46:7</p> <p><b>behavior</b> [4] - 30:12, 31:1, 38:7, 39:11</p> <p><b>behind</b> [3] - 212:8, 248:7, 249:8</p> <p><b>BEHR</b> [7] - 225:8, 225:19, 227:3, 227:13, 229:19, 231:14, 233:14</p> <p><b>Behr</b> [4] - 1:24, 3:8, 247:12, 285:3</p> <p><b>Belfast</b> [4] - 314:22, 324:7, 343:15, 345:13</p> <p><b>believes</b> [4] - 39:19, 277:25, 328:18, 337:4</p> <p><b>Bell</b> [4] - 314:20, 318:2, 318:7, 318:10</p> <p><b>BELL</b> [1] - 318:8</p> <p><b>belong</b> [2] - 312:3, 322:4</p> <p><b>below</b> [15] - 35:5, 64:19, 64:21, 67:1, 67:25, 68:12, 69:16, 70:2, 74:21, 74:22, 86:15, 187:17, 215:10, 215:16, 303:8</p> <p><b>Ben</b> [4] - 312:18, 312:19, 312:21, 313:13</p> <p><b>beneath</b> [5] - 30:12, 36:9, 183:4, 183:12, 336:5</p> <p><b>beneficial</b> [2] - 28:5, 216:1</p> <p><b>beneficially</b> [9] - 23:20, 25:5, 26:4, 119:13, 145:17, 146:7, 152:18, 296:13, 296:15</p> <p><b>benefit</b> [28] - 13:16, 18:7, 51:1, 132:9,</p>
--	--	---	---	--

<p>132:10, 152:23, 152:24, 153:10, 155:5, 156:11, 156:15, 157:3, 158:15, 171:23, 253:22, 289:19, 289:22, 294:3, 296:21, 316:5, 326:18, 331:13, 332:1, 336:22, 337:9, 338:13, 339:24, 341:14</p> <p><b>benefits</b> [3] - 11:9, 11:20, 22:21</p> <p><b>Bennett</b> [2] - 377:3, 377:7</p> <p><b>BENNETT</b> [1] - 377:5</p> <p><b>bentonite</b> [1] - 67:5</p> <p><b>BEP</b> [8] - 1:19, 1:20, 322:21, 323:1, 330:23, 337:7, 338:9, 339:18</p> <p><b>berms</b> [2] - 50:9, 98:23</p> <p><b>Bertocci</b> [3] - 1:19, 3:4, 284:24</p> <p><b>BERTOCCI</b> [15] - 17:2, 130:15, 152:7, 152:20, 153:1, 153:5, 153:9, 156:7, 164:2, 164:5, 165:11, 165:21, 166:5, 174:18, 385:14</p> <p><b>beside</b> [2] - 284:17, 284:23</p> <p><b>Best</b> [1] - 84:1</p> <p><b>best</b> [29] - 19:19, 52:4, 98:25, 119:3, 142:13, 206:5, 206:11, 243:3, 252:5, 259:5, 307:3, 307:13, 308:14, 315:22, 323:1, 323:2, 323:4, 333:17, 335:23, 359:20, 365:3, 367:2, 367:5, 376:16, 382:23, 382:25, 383:1, 383:14, 383:17</p> <p><b>Better</b> [1] - 305:12</p> <p><b>better</b> [20] - 23:24, 38:11, 40:21, 60:2, 103:6, 169:23, 186:2, 191:19, 230:22, 233:10, 244:8, 266:11, 281:3, 297:10, 325:7, 343:4, 343:5,</p>	<p>359:18, 365:4</p> <p><b>between</b> [21] - 12:11, 33:8, 37:9, 38:13, 45:4, 47:8, 63:15, 73:12, 87:17, 87:20, 127:21, 179:13, 187:22, 192:2, 260:10, 289:12, 294:6, 294:9, 329:4, 339:8, 357:25</p> <p><b>Beyer</b> [3] - 1:24, 3:10, 285:5</p> <p><b>BEYER</b> [2] - 244:24, 247:8</p> <p><b>beyond</b> [10] - 27:4, 42:1, 150:8, 204:20, 213:7, 248:3, 248:4, 271:15, 274:12, 338:4</p> <p><b>BGS</b> [5] - 9:10, 134:1, 173:7, 338:7, 340:2</p> <p><b>BGS/NEWSME</b> [8] - 18:24, 29:19, 48:24, 91:15, 100:23, 114:2, 130:7, 179:4</p> <p><b>BICKFORD</b> [1] - 308:20</p> <p><b>Bickford</b> [3] - 305:2, 308:18, 308:21</p> <p><b>Biddeford</b> [1] - 148:8</p> <p><b>bidding</b> [1] - 10:14</p> <p><b>bids</b> [1] - 10:18</p> <p><b>big</b> [12] - 15:11, 65:6, 65:24, 90:2, 103:20, 150:11, 217:11, 292:10, 318:14, 349:12, 362:12, 382:13</p> <p><b>bigger</b> [6] - 79:13, 81:8, 86:25, 87:2, 242:15, 310:15</p> <p><b>biggest</b> [8] - 78:21, 88:13, 229:3, 240:13, 240:19, 348:19, 367:6, 367:13</p> <p><b>biggies</b> [1] - 264:1</p> <p><b>bill</b> [1] - 380:23</p> <p><b>Bill</b> [10] - 7:20, 8:13, 324:5, 325:10, 325:14, 349:1, 372:9, 375:6, 375:11, 378:17</p> <p><b>billion</b> [6] - 125:11, 239:15, 239:19, 239:24, 248:16, 248:19</p> <p><b>binary</b> [1] - 260:9</p> <p><b>Bingo</b> [2] - 365:10, 365:11</p>	<p><b>Biofuels</b> [2] - 155:13, 293:20</p> <p><b>biologist</b> [1] - 259:16</p> <p><b>biomass</b> [2] - 334:13, 349:24</p> <p><b>biophysical</b> [3] - 250:21, 252:2, 260:2</p> <p><b>biosolids</b> [18] - 24:3, 26:20, 164:20, 164:23, 165:1, 165:2, 165:8, 372:20, 372:22, 373:3, 373:16, 373:23, 374:5, 374:9, 374:18, 374:19, 374:22, 374:23</p> <p><b>bird</b> [1] - 259:20</p> <p><b>birds</b> [1] - 267:10</p> <p><b>bit</b> [38] - 34:8, 41:1, 44:6, 44:12, 47:18, 66:16, 70:24, 81:8, 92:4, 93:4, 95:13, 97:13, 100:2, 100:3, 106:22, 107:22, 116:8, 121:8, 154:10, 168:15, 213:5, 215:9, 217:17, 227:18, 228:19, 236:13, 249:8, 250:12, 251:14, 284:5, 289:5, 291:11, 305:10, 345:23, 348:13, 371:16</p> <p><b>bite</b> [1] - 283:3</p> <p><b>black</b> [6] - 68:5, 95:9, 100:25, 105:1, 106:5, 291:1</p> <p><b>blade</b> [1] - 237:23</p> <p><b>Blair</b> [5] - 358:17, 360:20, 360:21, 360:25, 363:6</p> <p><b>BLAIR</b> [2] - 363:7, 363:9</p> <p><b>blank</b> [1] - 350:5</p> <p><b>blanket</b> [3] - 221:19, 221:23, 222:5</p> <p><b>blessings</b> [1] - 344:17</p> <p><b>blight</b> [1] - 321:5</p> <p><b>block</b> [2] - 82:16, 205:11</p> <p><b>blocked</b> [1] - 163:16</p> <p><b>bloodstream</b> [1] - 316:12</p> <p><b>blown</b> [1] - 244:7</p> <p><b>blue</b> [9] - 20:1, 63:13, 94:1, 107:17, 117:19, 218:21, 219:3, 278:21, 291:5</p>	<p><b>blueback</b> [1] - 266:21</p> <p><b>bluntly</b> [1] - 268:9</p> <p><b>board</b> [3] - 138:17, 169:4, 315:24</p> <p><b>BOARD</b> [2] - 1:2, 1:13</p> <p><b>Board</b> [66] - 2:1, 2:6, 2:18, 2:19, 3:2, 3:3, 3:14, 4:3, 4:14, 4:25, 5:6, 5:9, 5:11, 5:12, 5:14, 5:16, 6:8, 6:21, 6:22, 7:12, 8:10, 9:14, 14:10, 18:3, 47:23, 55:3, 91:21, 136:11, 137:17, 138:15, 156:17, 156:21, 162:3, 169:18, 170:10, 204:3, 209:23, 250:5, 277:18, 278:10, 282:21, 284:9, 284:14, 284:16, 284:21, 284:23, 285:13, 286:2, 286:6, 286:9, 287:10, 290:1, 293:11, 296:24, 307:5, 327:24, 328:11, 329:24, 330:7, 330:14, 331:17, 332:24, 341:1, 342:19, 349:16, 355:8</p> <p><b>Board's</b> [5] - 3:5, 3:6, 284:24, 285:1, 286:21</p> <p><b>bodies</b> [3] - 42:23, 43:9, 85:11</p> <p><b>body</b> [4] - 316:7, 316:12, 316:19, 317:3</p> <p><b>boiler</b> [2] - 25:15, 334:13</p> <p><b>boilers</b> [2] - 151:12, 176:2</p> <p><b>bomb</b> [1] - 322:1</p> <p><b>boot</b> [1] - 76:12</p> <p><b>Booth</b> [16] - 44:5, 48:8, 97:15, 120:21, 123:7, 148:16, 179:4, 184:19, 189:20, 202:13, 206:18, 208:7, 210:9, 214:2, 233:17, 233:18</p> <p><b>BOOTH</b> [37] - 49:2, 185:2, 185:13, 186:1, 186:10, 186:18, 186:25, 187:6, 187:18, 188:5, 188:15,</p>	<p>188:18, 188:24, 189:9, 190:4, 202:17, 203:10, 206:24, 207:3, 207:10, 208:5, 208:16, 210:16, 211:8, 211:14, 214:7, 214:21, 215:14, 216:5, 216:16, 216:19, 234:5, 234:8, 234:13, 235:5, 235:19, 235:24</p> <p><b>borders</b> [5] - 185:1, 185:5, 339:10, 340:14</p> <p><b>bore</b> [2] - 32:15, 33:9</p> <p><b>borings</b> [3] - 32:3, 32:6</p> <p><b>born</b> [1] - 344:19</p> <p><b>bothered</b> [1] - 143:20</p> <p><b>bottle</b> [1] - 299:12</p> <p><b>bottom</b> [21] - 53:12, 60:12, 68:15, 70:19, 70:22, 72:21, 80:24, 81:1, 188:1, 188:2, 188:7, 188:9, 233:20, 233:25, 271:25, 272:8, 274:6, 321:9, 325:23, 342:17, 371:3</p> <p><b>bound</b> [3] - 242:23, 345:17, 346:21</p> <p><b>boundaries</b> [9] - 11:11, 11:15, 52:20, 87:11, 87:15, 92:24, 193:9, 337:13</p> <p><b>boundary</b> [4] - 52:21, 55:15, 117:24, 118:3</p> <p><b>box</b> [2] - 342:1, 343:6</p> <p><b>Boy</b> [1] - 298:23</p> <p><b>Bradley</b> [1] - 351:10</p> <p><b>Brale</b> [3] - 369:7, 370:9, 370:11</p> <p><b>BRALEY</b> [1] - 370:11</p> <p><b>Brandon</b> [1] - 365:9</p> <p><b>Bravo</b> [1] - 47:1</p> <p><b>breaching</b> [1] - 275:6</p> <p><b>break</b> [15] - 4:19, 7:6, 36:20, 61:1, 90:20, 130:1, 149:5, 178:22, 178:25, 181:15, 347:18, 352:25, 354:19, 371:4</p> <p><b>breaks</b> [1] - 307:7</p> <p><b>breathe</b> [1] - 333:11</p> <p><b>breeding</b> [1] - 106:17</p> <p><b>brevity</b> [1] - 354:7</p>
---	--	---	--	--



<p><b>Brewer</b> [6] - 170:3, 170:7, 257:23, 263:5, 264:13, 276:6</p> <p><b>Brian</b> [8] - 7:16, 143:18, 328:7, 358:13, 360:22, 360:24, 361:2, 365:6</p> <p><b>bridge</b> [1] - 224:1</p> <p><b>brief</b> [5] - 288:16, 288:23, 291:21, 300:3, 341:8</p> <p><b>briefly</b> [9] - 30:11, 35:4, 65:12, 227:17, 240:4, 245:3, 249:20, 255:11, 360:2</p> <p><b>briefs</b> [2] - 158:13, 158:18</p> <p><b>bring</b> [25] - 72:23, 74:20, 157:2, 160:18, 173:22, 196:7, 197:9, 197:10, 211:17, 217:13, 222:9, 223:2, 223:9, 241:12, 251:12, 251:16, 302:11, 303:25, 304:1, 307:6, 325:7, 360:3, 366:8, 367:20, 385:16</p> <p><b>bringing</b> [9] - 142:15, 160:19, 171:16, 201:20, 222:23, 223:10, 296:1, 349:20, 354:15</p> <p><b>brink</b> [2] - 255:23, 257:7</p> <p><b>broach</b> [1] - 14:13</p> <p><b>broad</b> [2] - 23:22, 258:18</p> <p><b>broadband</b> [3] - 236:5, 236:20, 237:5</p> <p><b>Broadway</b> [2] - 377:1, 377:2</p> <p><b>broken</b> [1] - 36:14</p> <p><b>broker</b> [1] - 23:8</p> <p><b>Brook</b> [3] - 110:18, 110:19, 111:5</p> <p><b>brook</b> [2] - 112:1, 254:12</p> <p><b>brooks</b> [2] - 110:9, 112:14</p> <p><b>brother</b> [1] - 312:23</p> <p><b>brought</b> [16] - 7:2, 33:13, 150:19, 150:20, 160:15, 173:25, 176:14, 186:8, 186:15, 186:23, 223:13,</p>	<p>298:18, 342:18, 374:7, 374:17, 379:5</p> <p><b>Brunswick</b> [2] - 374:10</p> <p><b>Bryan</b> [10] - 52:22, 90:25, 91:6, 91:16, 91:19, 93:1, 113:12, 179:5, 192:4</p> <p><b>Bryan's</b> [1] - 91:14</p> <p><b>bubbles</b> [1] - 336:4</p> <p><b>buffer</b> [4] - 111:12, 111:19, 112:6, 291:19</p> <p><b>buffering</b> [1] - 111:8</p> <p><b>buffers</b> [7] - 103:19, 108:7, 110:21, 111:16, 111:23, 111:25, 112:22</p> <p><b>build</b> [19] - 50:22, 63:24, 64:1, 64:4, 64:5, 88:23, 90:5, 149:13, 149:14, 209:16, 234:16, 252:22, 300:13, 306:11, 306:13, 341:15, 342:1, 343:6, 377:17</p> <p><b>builders</b> [2] - 379:6, 379:24</p> <p><b>building</b> [4] - 5:25, 50:11, 80:22, 380:10</p> <p><b>buildings</b> [2] - 290:8, 306:8</p> <p><b>builds</b> [1] - 81:12</p> <p><b>buildup</b> [2] - 66:14, 234:1</p> <p><b>built</b> [12] - 31:11, 52:13, 61:20, 74:6, 75:2, 183:17, 188:10, 230:3, 244:2, 308:25, 338:19, 359:7</p> <p><b>bulbs</b> [2] - 194:21, 195:5</p> <p><b>bulky</b> [26] - 26:7, 126:15, 138:22, 153:12, 153:16, 154:16, 154:21, 154:23, 155:4, 155:14, 162:17, 173:6, 173:14, 173:21, 296:1, 296:2, 296:16, 296:24, 297:1, 297:13, 303:19, 312:24, 313:8, 325:25, 337:13, 337:20</p> <p><b>bulldozer</b> [1] - 237:23</p> <p><b>bunch</b> [1] - 254:9</p>	<p><b>burden</b> [3] - 271:6, 324:11, 351:3</p> <p><b>burdens</b> [1] - 303:21</p> <p><b>Bureau</b> [19] - 2:8, 2:10, 4:4, 7:18, 7:21, 12:5, 114:9, 132:20, 244:18, 284:10, 286:3, 286:18, 288:20, 289:14, 336:18, 337:2, 338:2, 338:5, 339:15</p> <p><b>BUREAU</b> [1] - 1:5</p> <p><b>buried</b> [2] - 367:23, 368:2</p> <p><b>Burke</b> [3] - 1:20, 3:6, 285:1</p> <p><b>burn</b> [4] - 150:24, 151:13, 154:25, 302:18</p> <p><b>burning</b> [5] - 309:14, 311:20, 311:21, 349:23, 370:8</p> <p><b>BURNS</b> [2] - 172:9, 172:25</p> <p><b>Burns</b> [3] - 1:23, 3:10, 285:4</p> <p><b>burnt</b> [1] - 175:24</p> <p><b>burying</b> [1] - 349:24</p> <p><b>business</b> [26] - 130:6, 150:25, 155:20, 163:14, 305:15, 305:16, 307:17, 310:22, 310:24, 311:3, 361:21, 362:1, 362:9, 367:5, 367:10, 367:11, 368:22, 372:25, 373:12, 375:13, 375:14, 376:7, 379:20, 380:4, 380:12, 380:18</p> <p><b>businesses</b> [5] - 23:6, 303:22, 307:25, 311:5, 311:6</p> <p><b>button</b> [1] - 249:13</p> <p><b>buy</b> [4] - 295:21, 306:2, 306:13, 373:8</p> <p><b>buying</b> [1] - 324:12</p> <p><b>BY</b> [1] - 1:5</p> <p><b>by-product</b> [1] - 175:14</p> <p><b>bypass</b> [26] - 15:21, 27:6, 27:9, 139:8, 139:19, 139:21, 140:17, 140:18, 140:21, 140:24, 147:5, 147:13, 147:16, 147:17, 148:12, 148:17, 172:11, 172:16,</p>	<p>304:4, 326:19, 326:25, 327:9, 327:15, 332:6, 334:18, 358:25</p>	<p>326:17, 326:20, 327:2, 328:1, 328:23, 331:1, 331:9, 340:13, 341:16, 359:2, 373:19, 374:7, 374:21</p> <p><b>Capacity</b> [1] - 166:22</p> <p><b>Cape</b> [1] - 345:14</p> <p><b>capillaries</b> [1] - 316:17</p> <p><b>capillary</b> [3] - 316:13, 317:1</p> <p><b>capital</b> [2] - 294:22, 377:18</p> <p><b>capped</b> [1] - 11:5</p> <p><b>caption</b> [1] - 278:14</p> <p><b>capture</b> [1] - 42:7</p> <p><b>car</b> [1] - 333:14</p> <p><b>carbon</b> [4] - 199:20, 244:3, 244:7, 244:13</p> <p><b>cardboard</b> [2] - 295:16, 379:12</p> <p><b>care</b> [9] - 12:15, 12:16, 131:11, 131:12, 161:10, 182:13, 297:24, 382:21, 384:2</p> <p><b>career</b> [4] - 48:17, 306:9, 349:12, 361:6</p> <p><b>careful</b> [4] - 154:1, 248:23, 303:17, 341:3</p> <p><b>carefully</b> [1] - 153:20</p> <p><b>Caribou</b> [2] - 3:1, 284:21</p> <p><b>Carl</b> [8] - 304:25, 305:2, 305:4, 305:9, 365:12, 369:6, 369:7, 369:8</p> <p><b>Carolina</b> [1] - 353:5</p> <p><b>Caron</b> [3] - 1:24, 3:11, 285:6</p> <p><b>carpet</b> [1] - 67:4</p> <p><b>carpeting</b> [2] - 295:11, 296:6</p> <p><b>carried</b> [1] - 333:13</p> <p><b>carrier</b> [1] - 78:8</p> <p><b>Carroll</b> [2] - 365:9</p> <p><b>carry</b> [3] - 316:12, 316:18, 385:12</p> <p><b>case</b> [21] - 11:11, 15:10, 37:22, 55:12, 55:23, 61:13, 139:22, 157:15, 165:3, 166:6, 181:16, 195:21, 206:5, 240:18, 242:4, 258:25, 260:15, 335:23,</p>
<b>C</b>				
<p><b>C&amp;D</b> [10] - 139:24, 153:23, 154:4, 163:13, 195:25, 293:16, 294:9, 294:10, 297:6, 297:7</p> <p><b>calculate</b> [4] - 33:22, 34:6, 56:6, 64:9</p> <p><b>calculated</b> [3] - 65:18, 171:5, 189:16</p> <p><b>calculation</b> [5] - 42:17, 43:1, 44:4, 44:7, 88:17</p> <p><b>calculations</b> [7] - 14:4, 30:23, 34:23, 86:23, 188:23, 189:9, 189:17</p> <p><b>calendar</b> [1] - 23:25</p> <p><b>camera</b> [2] - 234:19, 234:21</p> <p><b>Canada</b> [1] - 151:20</p> <p><b>cancel</b> [1] - 250:7</p> <p><b>cancer</b> [1] - 345:7</p> <p><b>cannot</b> [6] - 259:25, 317:17, 323:11, 333:22, 373:16, 380:3</p> <p><b>canopy</b> [1] - 99:14</p> <p><b>cans</b> [2] - 196:4, 299:7</p> <p><b>capability</b> [2] - 147:24, 296:5</p> <p><b>capable</b> [3] - 253:9, 269:18, 356:19</p> <p><b>capacity</b> [62] - 13:19, 13:20, 14:6, 24:1, 51:6, 52:10, 52:11, 53:5, 61:20, 62:11, 66:5, 66:19, 68:14, 78:13, 78:23, 79:8, 79:18, 80:13, 80:16, 81:7, 83:12, 96:24, 98:16, 114:19, 114:20, 114:24, 115:5, 115:6, 131:3, 131:12, 135:7, 135:10, 136:5, 162:9, 170:15, 170:21, 170:23, 171:6, 171:9, 171:11, 171:21, 172:5, 200:18, 213:22, 301:15, 313:18, 325:17, 325:20, 326:16,</p>	<p>304:4, 326:19, 326:25, 327:9, 327:15, 332:6, 334:18, 358:25</p>	<p>326:17, 326:20, 327:2, 328:1, 328:23, 331:1, 331:9, 340:13, 341:16, 359:2, 373:19, 374:7, 374:21</p> <p><b>Capacity</b> [1] - 166:22</p> <p><b>Cape</b> [1] - 345:14</p> <p><b>capillaries</b> [1] - 316:17</p> <p><b>capillary</b> [3] - 316:13, 317:1</p> <p><b>capital</b> [2] - 294:22, 377:18</p> <p><b>capped</b> [1] - 11:5</p> <p><b>caption</b> [1] - 278:14</p> <p><b>capture</b> [1] - 42:7</p> <p><b>car</b> [1] - 333:14</p> <p><b>carbon</b> [4] - 199:20, 244:3, 244:7, 244:13</p> <p><b>cardboard</b> [2] - 295:16, 379:12</p> <p><b>care</b> [9] - 12:15, 12:16, 131:11, 131:12, 161:10, 182:13, 297:24, 382:21, 384:2</p> <p><b>career</b> [4] - 48:17, 306:9, 349:12, 361:6</p> <p><b>careful</b> [4] - 154:1, 248:23, 303:17, 341:3</p> <p><b>carefully</b> [1] - 153:20</p> <p><b>Caribou</b> [2] - 3:1, 284:21</p> <p><b>Carl</b> [8] - 304:25, 305:2, 305:4, 305:9, 365:12, 369:6, 369:7, 369:8</p> <p><b>Carolina</b> [1] - 353:5</p> <p><b>Caron</b> [3] - 1:24, 3:11, 285:6</p> <p><b>carpet</b> [1] - 67:4</p> <p><b>carpeting</b> [2] - 295:11, 296:6</p> <p><b>carried</b> [1] - 333:13</p> <p><b>carrier</b> [1] - 78:8</p> <p><b>Carroll</b> [2] - 365:9</p> <p><b>carry</b> [3] - 316:12, 316:18, 385:12</p> <p><b>case</b> [21] - 11:11, 15:10, 37:22, 55:12, 55:23, 61:13, 139:22, 157:15, 165:3, 166:6, 181:16, 195:21, 206:5, 240:18, 242:4, 258:25, 260:15, 335:23,</p>		

<p>337:5, 338:9, 351:23  <b>Casella</b> [106] - 10:18, 10:25, 11:1, 11:12, 11:18, 12:19, 14:3, 18:13, 18:23, 23:19, 24:3, 24:14, 26:16, 28:6, 80:7, 80:9, 131:2, 132:15, 133:14, 133:17, 133:25, 134:11, 134:15, 136:4, 137:23, 138:23, 139:14, 149:24, 155:11, 155:12, 156:22, 156:25, 158:6, 158:10, 159:21, 160:16, 160:19, 161:9, 164:19, 164:25, 193:13, 231:19, 232:5, 232:6, 235:16, 236:6, 289:13, 293:20, 295:17, 298:12, 300:2, 302:9, 303:23, 305:25, 320:10, 320:11, 326:8, 326:13, 327:1, 327:3, 327:9, 337:2, 338:7, 339:16, 342:14, 348:9, 348:16, 348:18, 348:21, 348:22, 349:2, 350:5, 355:19, 358:9, 359:5, 361:4, 361:6, 361:8, 361:10, 361:21, 361:25, 362:9, 363:2, 364:23, 366:18, 367:9, 371:23, 372:16, 373:11, 375:13, 375:15, 375:18, 375:20, 375:24, 376:8, 376:17, 376:20, 377:11, 377:16, 380:11, 382:17, 383:16, 384:21  <b>Casella's</b> [4] - 22:10, 22:16, 300:6, 326:11  <b>cases</b> [2] - 21:23, 26:2  <b>cash</b> [1] - 149:18  <b>CASSE</b> [1] - 251:5  <b>Castell</b> [1] - 111:13  <b>catastrophic</b> [2] - 260:21, 275:6  <b>catch</b> [2] - 199:10, 318:21</p>	<p><b>categories</b> [2] - 131:23, 141:18  <b>categorize</b> [1] - 12:24  <b>category</b> [3] - 142:7, 173:14, 221:22  <b>cats</b> [1] - 362:6  <b>caught</b> [2] - 194:13, 342:10  <b>caused</b> [2] - 343:19, 383:9  <b>causes</b> [6] - 76:6, 76:18, 190:24, 191:1, 330:2, 384:9  <b>causing</b> [8] - 20:14, 42:13, 72:25, 124:14, 184:9, 131:21, 353:5, 383:8  <b>caution</b> [2] - 285:9  <b>cautioned</b> [1] - 249:17  <b>CDD</b> [6] - 135:19, 151:17, 152:13, 152:16, 157:16, 334:18  <b>cell</b> [46] - 61:24, 62:14, 62:18, 62:19, 63:2, 63:24, 64:4, 64:6, 69:19, 71:1, 74:5, 74:6, 74:7, 74:8, 74:13, 75:2, 76:9, 77:7, 77:14, 77:15, 78:21, 79:9, 79:19, 80:5, 88:23, 89:6, 89:24, 90:7, 110:25, 114:25, 123:7, 211:12, 233:21, 234:1, 234:17, 238:3, 238:7, 238:10, 238:11, 290:17, 290:22  <b>cells</b> [28] - 15:20, 25:6, 50:15, 61:20, 61:22, 62:3, 62:9, 62:10, 62:22, 63:23, 71:6, 71:10, 74:9, 77:2, 77:7, 80:11, 89:4, 211:8, 211:9, 234:2, 290:11, 290:16, 290:18, 290:19, 308:24, 316:8, 316:10  <b>cellular</b> [1] - 316:19  <b>Center</b> [4] - 1:10, 2:2, 251:4, 347:24  <b>center</b> [3] - 100:24, 270:12, 336:12  <b>centimeters</b> [4] - 35:24, 36:1, 69:20, 71:22  <b>central</b> [2] - 301:18, 361:3</p>	<p><b>centuries</b> [1] - 267:17  <b>certain</b> [25] - 34:18, 42:22, 55:10, 59:11, 59:25, 60:5, 60:25, 72:20, 96:5, 123:22, 135:12, 176:17, 217:7, 221:21, 232:3, 239:22, 239:23, 262:16, 303:18, 321:15, 344:20, 380:5, 381:24, 381:25  <b>certainly</b> [15] - 149:21, 158:7, 250:11, 263:20, 264:1, 264:15, 280:18, 340:16, 362:12, 362:25, 364:3, 364:18, 366:13, 367:21, 381:11  <b>Certainly</b> [1] - 348:14  <b>certification</b> [1] - 217:5  <b>certified</b> [5] - 18:22, 29:4, 91:1, 113:16, 124:7  <b>CES</b> [1] - 179:14  <b>cetera</b> [2] - 132:17, 185:12  <b>CFLs</b> [1] - 195:9  <b>chair</b> [5] - 136:10, 282:6, 282:8, 284:14, 285:5  <b>Chair</b> [5] - 2:17, 6:21, 137:16, 179:7, 332:23  <b>chairman</b> [3] - 129:23, 254:21, 279:21  <b>Chairman</b> [19] - 7:11, 8:15, 9:13, 65:16, 91:21, 166:7, 255:25, 261:19, 264:3, 265:6, 270:7, 273:17, 279:6, 328:10, 328:24, 331:17, 340:25, 350:15, 385:25  <b>CHAIRMAN</b> [209] - 1:12, 2:5, 6:16, 7:5, 14:10, 15:23, 16:21, 16:25, 17:4, 17:14, 17:21, 18:1, 18:9, 19:4, 28:24, 46:21, 46:24, 47:21, 48:3, 90:19, 90:23, 93:1, 93:3, 93:6, 113:12, 116:8, 121:7, 129:21, 129:25, 130:5, 131:14, 136:8, 136:13,</p>	<p>137:14, 138:14, 141:9, 141:11, 143:15, 144:19, 144:21, 144:25, 145:6, 146:18, 147:15, 147:21, 148:20, 148:23, 148:25, 150:6, 150:11, 151:21, 158:23, 159:4, 159:9, 159:14, 159:23, 160:2, 160:5, 161:7, 162:2, 162:10, 162:14, 163:2, 163:8, 163:24, 164:3, 168:6, 169:18, 170:10, 173:1, 174:15, 174:21, 175:8, 177:20, 178:21, 179:2, 193:19, 193:22, 193:25, 194:6, 200:6, 200:10, 202:7, 204:2, 204:10, 205:14, 206:17, 207:1, 207:5, 208:2, 208:6, 209:21, 210:7, 212:2, 213:3, 224:13, 225:6, 233:22, 236:9, 247:9, 248:6, 248:10, 249:7, 249:15, 250:3, 250:23, 255:5, 255:17, 256:2, 256:7, 256:10, 256:13, 256:17, 256:21, 262:5, 264:12, 265:8, 265:13, 265:16, 265:22, 270:10, 271:13, 271:22, 272:1, 272:5, 272:9, 273:21, 274:3, 275:25, 277:13, 277:20, 278:2, 279:24, 282:7, 282:10, 282:16, 282:18, 282:20, 282:24, 284:3, 291:23, 293:8, 297:17, 297:19, 298:6, 299:17, 299:21, 299:23, 300:15, 300:18, 300:20, 300:23, 301:2, 304:15, 304:24, 308:16, 308:18, 309:8,</p>	<p>312:14, 312:16, 313:23, 314:14, 317:18, 318:2, 320:1, 324:4, 325:10, 328:7, 332:19, 332:21, 335:2, 339:2, 340:5, 340:19, 343:11, 345:22, 347:1, 347:16, 348:12, 348:15, 350:11, 350:19, 353:17, 354:18, 354:22, 355:13, 357:18, 357:20, 358:12, 358:16, 360:20, 360:24, 363:6, 363:8, 363:10, 365:6, 365:11, 369:6, 370:9, 372:8, 375:4, 375:6, 376:24, 378:16, 380:23, 385:2, 385:24, 386:2, 386:5  <b>Chairman's</b> [1] - 152:9  <b>chairs</b> [1] - 293:3  <b>Chamberlain</b> [1] - 312:18  <b>Chamberland</b> [3] - 308:19, 309:9, 309:11  <b>CHAMBERLAND</b> [2] - 309:10, 312:15  <b>chance</b> [5] - 109:22, 124:22, 143:21, 191:13, 348:24  <b>chances</b> [1] - 182:3  <b>change</b> [22] - 45:23, 145:2, 151:15, 155:24, 209:7, 209:8, 209:19, 211:19, 218:18, 228:4, 230:16, 232:9, 240:13, 243:2, 252:17, 268:7, 268:12, 269:10, 270:1, 297:9, 310:15, 362:8  <b>Change</b> [1] - 269:3  <b>changed</b> [10] - 87:9, 92:21, 154:19, 191:1, 211:22, 231:18, 276:8, 326:19, 338:12  <b>changer</b> [2] - 326:24, 367:22  <b>changes</b> [11] - 88:15, 111:20, 132:16, 156:2, 160:11, 190:11, 231:22,</p>
--	---	--	---	--

<p>231:25, 232:10, 232:24, 269:15</p> <p><b>changing</b> [3] - 272:22, 275:2, 322:22</p> <p><b>Chapter</b> [20] - 3:19, 10:10, 19:17, 20:25, 90:13, 93:17, 94:18, 101:9, 105:10, 178:2, 178:5, 189:25, 251:3, 285:18, 329:6, 329:13, 329:22, 330:5, 330:18, 372:18</p> <p><b>chapter</b> [2] - 329:10, 330:20</p> <p><b>chapters</b> [1] - 90:14</p> <p><b>characteristic</b> [2] - 35:13, 35:22</p> <p><b>characteristics</b> [6] - 32:18, 35:21, 46:11, 47:14, 105:18, 105:25</p> <p><b>characterization</b> [4] - 126:22, 209:12, 221:10, 276:21</p> <p><b>characterize</b> [1] - 32:6</p> <p><b>characterized</b> [2] - 127:9, 201:21</p> <p><b>charge</b> [2] - 160:21, 315:9</p> <p><b>charged</b> [1] - 159:18</p> <p><b>charging</b> [1] - 159:11</p> <p><b>Charles</b> [4] - 332:22, 335:2, 335:3, 335:6</p> <p><b>chart</b> [4] - 120:12, 147:1, 166:8, 310:3</p> <p><b>charts</b> [1] - 366:19</p> <p><b>CHASE</b> [7] - 145:8, 145:22, 146:17, 210:8, 211:5, 211:9, 212:1</p> <p><b>Chase</b> [6] - 1:15, 2:22, 284:18, 355:7, 358:12, 358:13</p> <p><b>cheap</b> [2] - 322:16, 369:1</p> <p><b>cheaper</b> [2] - 171:15, 171:16</p> <p><b>check</b> [7] - 56:17, 57:16, 198:20, 199:7, 246:4, 291:11, 350:5</p> <p><b>checks</b> [1] - 98:5</p> <p><b>chemical</b> [3] - 233:1, 265:3, 275:18</p> <p><b>chemicals</b> [5] - 263:23, 265:2, 316:3, 323:14, 351:12</p>	<p><b>chemistry</b> [3] - 9:7, 91:4, 232:20</p> <p><b>Cheryl</b> [3] - 328:8, 332:21, 333:2</p> <p><b>chickens</b> [1] - 183:18</p> <p><b>child</b> [1] - 351:22</p> <p><b>children</b> [2] - 361:11, 384:5</p> <p><b>chip</b> [2] - 151:12, 151:18</p> <p><b>Chip</b> [1] - 4:11</p> <p><b>chloride</b> [1] - 233:1</p> <p><b>chlorinated</b> [1] - 352:10</p> <p><b>choice</b> [2] - 338:9, 384:1</p> <p><b>choose</b> [2] - 200:1, 292:2</p> <p><b>chooses</b> [1] - 322:21</p> <p><b>chosen</b> [1] - 63:17</p> <p><b>chromium</b> [1] - 352:10</p> <p><b>chronic</b> [1] - 239:24</p> <p><b>Chuck</b> [1] - 377:2</p> <p><b>Cindy</b> [5] - 3:4, 158:24, 164:1, 250:5, 284:24</p> <p><b>Cindy's</b> [1] - 156:9</p> <p><b>circle</b> [8] - 95:9, 95:11, 100:25, 101:1, 103:16, 103:17, 103:18, 103:20</p> <p><b>circles</b> [4] - 103:8, 104:22, 105:1, 291:7</p> <p><b>circular</b> [1] - 238:6</p> <p><b>circulation</b> [1] - 269:22</p> <p><b>cited</b> [2] - 176:5, 334:5</p> <p><b>cities</b> [2] - 114:16, 337:19</p> <p><b>citizen</b> [3] - 168:19, 168:22, 350:21</p> <p><b>citizens</b> [5] - 136:18, 137:2, 169:5, 335:25, 340:15</p> <p><b>City</b> [31] - 4:7, 5:4, 11:12, 11:20, 13:7, 108:11, 108:12, 108:17, 108:18, 116:24, 125:14, 126:2, 131:18, 136:9, 136:11, 168:23, 170:3, 179:14, 200:6, 244:20, 276:6, 282:12, 282:14, 286:10, 293:23, 293:24, 294:3, 294:4, 296:19, 305:15, 335:12</p> <p><b>city</b> [6] - 117:8,</p>	<p>125:16, 125:23, 128:20, 128:25, 294:2</p> <p><b>City's</b> [1] - 180:20</p> <p><b>civil</b> [4] - 29:13, 48:22, 84:5, 113:23</p> <p><b>claim</b> [1] - 252:3</p> <p><b>claims</b> [1] - 335:22</p> <p><b>clarification</b> [3] - 17:7, 18:6, 172:10</p> <p><b>clarified</b> [1] - 17:15</p> <p><b>clarifier</b> [1] - 358:2</p> <p><b>clarify</b> [5] - 18:1, 18:2, 145:13, 197:23, 234:4</p> <p><b>clarifying</b> [1] - 5:13</p> <p><b>clarity</b> [1] - 366:11</p> <p><b>class</b> [3] - 42:22, 93:15, 250:8</p> <p><b>classes</b> [1] - 269:5</p> <p><b>classified</b> [1] - 196:18</p> <p><b>clay</b> [29] - 35:6, 35:11, 38:22, 46:13, 64:20, 67:2, 67:5, 68:1, 69:11, 69:17, 69:18, 69:20, 70:5, 70:13, 71:8, 71:9, 71:12, 71:13, 73:3, 73:16, 86:25, 87:5, 202:21, 203:1, 210:24, 242:15</p> <p><b>clean</b> [20] - 24:15, 25:16, 35:17, 63:1, 74:12, 77:20, 77:21, 84:8, 115:20, 129:7, 152:13, 234:14, 234:18, 234:22, 253:14, 307:21, 315:9, 348:1, 353:22, 367:24</p> <p><b>Clean</b> [6] - 92:11, 198:1, 264:11, 315:11, 346:17, 352:14</p> <p><b>cleaned</b> [2] - 144:14, 368:12</p> <p><b>cleaning</b> [1] - 234:22</p> <p><b>cleanup</b> [4] - 201:4, 324:18, 370:21</p> <p><b>Clear</b> [1] - 176:9</p> <p><b>clear</b> [14] - 47:2, 93:14, 101:17, 225:20, 238:4, 238:8, 238:11, 281:7, 329:23, 341:23, 344:25, 345:16, 347:12, 381:22</p> <p><b>cleared</b> [1] - 99:24</p> <p><b>clearer</b> [2] - 236:10,</p>	<p>291:11</p> <p><b>clearing</b> [6] - 99:11, 99:13, 100:1, 100:15, 100:16, 100:24</p> <p><b>clearly</b> [6] - 101:1, 285:10, 331:20, 345:7, 356:2, 357:22</p> <p><b>clever</b> [1] - 355:4</p> <p><b>client</b> [1] - 223:23</p> <p><b>Climate</b> [1] - 269:3</p> <p><b>climate</b> [12] - 252:16, 268:7, 268:12, 268:19, 269:8, 269:9, 269:15, 269:23, 269:25, 272:12, 272:23, 275:16</p> <p><b>climatologist</b> [1] - 269:6</p> <p><b>clock</b> [1] - 125:9</p> <p><b>close</b> [19] - 6:9, 34:20, 77:14, 107:16, 238:25, 263:4, 264:20, 267:12, 267:25, 292:14, 294:5, 333:3, 333:8, 334:6, 342:4, 358:14, 362:7, 365:22, 377:16</p> <p><b>closed</b> [7] - 122:12, 147:18, 155:13, 200:15, 202:5, 235:11, 322:7</p> <p><b>closely</b> [3] - 77:25, 238:1, 303:23</p> <p><b>closer</b> [7] - 57:24, 211:1, 239:8, 294:11, 294:12, 305:10, 355:14</p> <p><b>closes</b> [1] - 311:10</p> <p><b>closest</b> [10] - 43:24, 55:14, 110:15, 110:17, 110:18, 110:23, 111:4, 112:11, 112:17, 304:10</p> <p><b>closing</b> [1] - 148:9</p> <p><b>closure</b> [10] - 9:24, 77:23, 128:15, 131:10, 131:11, 131:12, 150:2, 290:23</p> <p><b>co</b> [3] - 7:18, 253:23, 378:21</p> <p><b>co-applicant</b> [1] - 7:18</p> <p><b>co-evolved</b> [1] - 253:23</p> <p><b>co-owner</b> [1] - 378:21</p> <p><b>coast</b> [1] - 321:19</p>	<p><b>coastal</b> [1] - 93:18</p> <p><b>coat</b> [1] - 299:11</p> <p><b>coated</b> [1] - 242:17</p> <p><b>coffin</b> [2] - 368:17, 368:22</p> <p><b>cofounded</b> [1] - 29:7</p> <p><b>COGHLAN</b> [52] - 249:24, 250:2, 250:4, 250:24, 255:2, 255:11, 255:18, 256:4, 256:9, 256:12, 256:15, 256:19, 256:25, 261:24, 262:7, 264:9, 264:14, 264:18, 265:10, 265:15, 265:18, 265:25, 270:21, 271:1, 271:16, 271:24, 272:3, 272:6, 272:11, 273:19, 274:1, 274:5, 276:11, 276:13, 276:18, 276:25, 277:6, 278:6, 278:15, 278:18, 278:24, 279:2, 280:11, 280:14, 280:22, 281:2, 281:7, 281:11, 281:16, 281:24, 282:3, 282:23</p> <p><b>Coghlan</b> [14] - 5:1, 49:20, 109:5, 191:4, 249:16, 249:21, 250:14, 254:22, 271:13, 276:3, 279:12, 280:7, 286:7, 323:18</p> <p><b>Coghlan's</b> [1] - 261:13</p> <p><b>coincide</b> [1] - 235:17</p> <p><b>cold</b> [3] - 111:21, 253:14, 275:11</p> <p><b>cold-adapted</b> [1] - 275:11</p> <p><b>collate</b> [1] - 13:4</p> <p><b>colleagues</b> [2] - 269:2, 378:8</p> <p><b>collect</b> [16] - 6:1, 11:3, 23:9, 30:20, 41:24, 66:6, 77:4, 78:6, 81:18, 82:8, 118:22, 215:15, 215:18, 216:9, 227:3, 295:9</p> <p><b>collected</b> [12] - 33:12, 46:4, 62:19, 62:23, 78:2, 83:2, 84:8, 84:9, 124:10, 183:10, 184:1,</p>
---	--	---	--	---

<p>215:17  <b>collecting</b> [4] - 67:20, 82:6, 124:3, 232:5  <b>collection</b> [18] - 22:25, 42:2, 42:3, 62:23, 65:2, 66:3, 66:8, 67:19, 73:18, 76:25, 123:2, 123:12, 187:3, 187:16, 198:6, 240:24, 305:6, 360:4  <b>collective</b> [1] - 90:15  <b>collectively</b> [2] - 206:5, 206:10  <b>collector</b> [2] - 123:12, 199:24  <b>collectors</b> [4] - 123:9, 123:15, 308:7  <b>collects</b> [1] - 138:8  <b>college</b> [2] - 195:19, 372:12  <b>Columbia</b> [1] - 268:22  <b>column</b> [2] - 188:10, 278:22  <b>combined</b> [6] - 54:20, 103:5, 103:8, 121:13, 225:3, 245:19  <b>combining</b> [1] - 34:5  <b>combust</b> [2] - 27:9, 124:13  <b>combusted</b> [1] - 119:13  <b>combustion</b> [2] - 157:13, 176:8  <b>comfortable</b> [7] - 14:23, 15:4, 15:22, 112:25, 225:24, 252:6, 350:6  <b>coming</b> [60] - 12:20, 15:3, 15:10, 16:2, 44:20, 45:8, 115:12, 118:10, 118:13, 118:18, 118:20, 139:8, 139:11, 141:19, 142:21, 143:9, 146:24, 147:20, 147:22, 148:12, 160:3, 160:22, 161:7, 164:16, 167:4, 175:10, 196:2, 196:4, 213:14, 220:16, 220:23, 221:12, 226:13, 237:2, 237:4, 237:7, 237:8, 237:10, 240:19, 242:23, 293:1, 294:16, 294:18, 306:19,</p>	<p>311:9, 311:19, 318:20, 325:18, 326:7, 327:17, 338:20, 339:21, 340:7, 341:24, 350:8, 360:16, 368:9, 381:13, 384:24  <b>Coming</b> [1] - 348:23  <b>commencement</b> [1] - 242:11  <b>comment</b> [10] - 46:22, 68:25, 75:15, 87:13, 109:22, 143:17, 210:1, 292:17, 296:21, 385:18  <b>comments</b> [9] - 8:2, 109:23, 109:25, 110:1, 300:3, 315:4, 315:7, 341:8, 364:18  <b>commercial</b> [7] - 9:20, 14:1, 135:9, 155:18, 170:6, 201:10, 303:21  <b>commingle</b> [1] - 22:17  <b>Commission</b> [1] - 9:1  <b>Commissioner</b> [6] - 326:5, 331:11, 336:23, 336:24, 337:15, 339:23  <b>commissioner</b> [4] - 16:12, 133:2, 156:13, 157:23  <b>commissioner's</b> [1] - 157:4  <b>committed</b> [1] - 294:19  <b>Committee</b> [11] - 13:5, 117:9, 125:24, 128:21, 129:1, 131:18, 168:10, 168:18, 212:10, 244:19, 338:1  <b>committee</b> [2] - 169:2, 169:8  <b>commodities</b> [3] - 143:8, 174:5, 174:11  <b>common</b> [8] - 75:13, 76:6, 97:5, 189:21, 195:13, 218:24, 328:21, 344:16  <b>communication</b> [1] - 127:21  <b>communities</b> [18] - 11:10, 11:17, 171:15, 184:24, 184:25, 267:2, 302:10, 304:22, 307:25, 313:1, 337:17, 337:24,</p>	<p>338:16, 343:20, 345:4, 345:15, 347:7, 376:5  <b>community</b> [8] - 11:9, 11:20, 99:16, 186:14, 186:21, 246:5, 347:25, 368:15  <b>Community</b> [2] - 12:9, 348:23  <b>community's</b> [1] - 367:2  <b>compact</b> [1] - 202:24  <b>compactd</b> [6] - 35:8, 64:19, 67:25, 71:11, 73:3, 73:16  <b>compaction</b> [2] - 171:23, 171:25  <b>companies</b> [5] - 24:14, 378:21, 379:2, 379:7, 384:17  <b>company</b> [21] - 19:9, 74:20, 155:11, 293:15, 293:16, 293:19, 300:4, 302:4, 305:6, 305:25, 314:3, 351:14, 360:4, 361:19, 366:22, 368:18, 372:15, 375:12, 376:2, 376:20, 380:1  <b>Company</b> [3] - 24:23, 293:20, 301:6  <b>company's</b> [1] - 131:23  <b>comparative</b> [1] - 27:17  <b>compare</b> [8] - 61:6, 203:8, 233:3, 277:22, 279:5, 279:17, 279:19, 382:8  <b>compared</b> [3] - 53:14, 124:23, 226:3  <b>comparison</b> [1] - 23:25  <b>compatible</b> [1] - 126:10  <b>compensate</b> [9] - 101:6, 102:14, 102:18, 103:2, 103:10, 113:10, 134:16, 280:9, 291:19  <b>compensation</b> [20] - 91:18, 101:9, 101:12, 101:18, 102:8, 103:14, 107:12, 112:4,</p>	<p>113:9, 203:25, 219:11, 280:20, 281:1, 281:6, 281:13, 281:15, 281:23, 282:1, 291:16, 291:17  <b>compensatory</b> [1] - 92:5  <b>compete</b> [2] - 308:13, 380:13  <b>competent</b> [2] - 36:13, 127:7  <b>competitive</b> [2] - 10:14, 10:18  <b>compile</b> [1] - 89:25  <b>complaint</b> [10] - 119:18, 119:20, 119:22, 119:24, 125:19, 125:22, 196:20, 196:22, 196:24, 243:9  <b>complaints</b> [5] - 120:13, 120:15, 243:11, 243:12, 243:14  <b>complete</b> [5] - 125:2, 208:3, 227:4, 229:7, 303:19  <b>completed</b> [10] - 64:23, 74:5, 74:7, 113:5, 113:24, 115:25, 116:4, 117:16, 225:15, 385:3  <b>completely</b> [4] - 99:9, 99:22, 230:12, 316:21  <b>completes</b> [1] - 129:23  <b>completion</b> [1] - 5:15  <b>complex</b> [3] - 252:20, 253:13, 321:11  <b>complexity</b> [1] - 228:17  <b>compliance</b> [14] - 12:14, 13:8, 18:16, 19:1, 21:2, 21:10, 28:11, 113:21, 132:5, 132:8, 153:22, 176:24, 287:8, 378:14  <b>complicated</b> [3] - 41:1, 252:20, 377:21  <b>complied</b> [2] - 282:1, 314:6  <b>compliment</b> [2] - 354:22, 385:4  <b>comply</b> [7] - 23:16, 49:5, 55:12, 117:15, 129:13, 186:17,</p>	<p>186:24  <b>complying</b> [2] - 177:16, 333:25  <b>component</b> [8] - 58:23, 59:8, 139:6, 146:24, 147:6, 202:21, 375:20  <b>components</b> [9] - 50:1, 58:14, 59:11, 59:18, 59:19, 64:25, 65:11, 137:22, 260:7  <b>composite</b> [9] - 63:20, 69:5, 70:14, 72:7, 72:8, 72:10, 73:2, 73:15, 210:23  <b>Compost</b> [1] - 146:14  <b>compost</b> [15] - 19:22, 23:18, 25:13, 26:19, 164:17, 164:22, 165:2, 165:7, 165:8, 324:14, 359:21, 373:1, 373:4, 373:7, 374:20  <b>composted</b> [7] - 23:21, 26:13, 146:6, 164:18, 164:23, 165:16, 373:16  <b>composting</b> [10] - 20:3, 20:8, 28:15, 146:13, 162:21, 164:11, 164:12, 164:13, 164:15, 372:23  <b>compounds</b> [6] - 124:14, 198:14, 222:17, 232:18, 232:22, 233:9  <b>comprehensive</b> [2] - 19:11, 304:17  <b>compressed</b> [1] - 188:14  <b>compressibility</b> [1] - 33:15  <b>compressible</b> [1] - 87:1  <b>compression</b> [2] - 47:7, 87:5  <b>compromise</b> [1] - 85:20  <b>compromised</b> [2] - 208:9, 275:21  <b>computer</b> [3] - 39:12, 229:20, 230:21  <b>concentrated</b> [1] - 189:14  <b>concentration</b> [3] - 248:15, 264:23, 357:5  <b>concentrations</b> [2] - 60:19, 248:23</p>
--	---	---	---	---

<p><b>concept</b> [1] - 77:12</p> <p><b>conception</b> [2] - 308:23, 321:7</p> <p><b>conceptual</b> [1] - 108:25</p> <p><b>concern</b> [9] - 88:3, 151:22, 226:7, 226:10, 319:25, 323:5, 337:16, 361:24, 362:12</p> <p><b>concerned</b> [8] - 142:3, 142:4, 144:3, 203:3, 319:2, 331:19, 350:21, 363:1</p> <p><b>concerns</b> [4] - 127:17, 326:5, 366:7, 371:15</p> <p><b>concise</b> [1] - 292:7</p> <p><b>conclave</b> [1] - 318:17</p> <p><b>conclude</b> [1] - 338:9</p> <p><b>concluded</b> [2] - 5:8, 111:18</p> <p><b>concludes</b> [1] - 291:21</p> <p><b>concluding</b> [1] - 113:1</p> <p><b>conclusion</b> [9] - 6:5, 85:2, 129:2, 153:22, 156:12, 156:13, 180:20, 180:21, 273:6</p> <p><b>conclusions</b> [7] - 34:22, 88:8, 90:8, 247:7, 259:21, 275:5, 331:14</p> <p><b>concocting</b> [1] - 321:11</p> <p><b>concurred</b> [1] - 85:5</p> <p><b>condensate</b> [2] - 82:15, 82:16</p> <p><b>condition</b> [7] - 27:5, 152:24, 153:11, 153:21, 155:4, 155:6, 158:15</p> <p><b>conditioned</b> [1] - 156:15</p> <p><b>conditions</b> [14] - 52:1, 54:1, 54:3, 54:6, 66:14, 79:14, 86:19, 132:8, 229:24, 246:3, 247:6, 275:18, 322:22, 334:2</p> <p><b>Conduct</b> [2] - 3:19, 285:18</p> <p><b>conducted</b> [8] - 29:25, 30:8, 32:18, 36:15, 94:2, 94:6, 191:6, 261:3</p> <p><b>conductivity</b> [1] - 71:23</p> <p><b>conducts</b> [2] - 91:7,</p>	<p>362:1</p> <p><b>confidence</b> [5] - 34:18, 34:22, 233:5, 233:12, 258:5</p> <p><b>confident</b> [1] - 76:2</p> <p><b>configuration</b> [1] - 49:25</p> <p><b>configure</b> [1] - 98:15</p> <p><b>confined</b> [1] - 121:12</p> <p><b>confirm</b> [7] - 39:21, 71:19, 197:11, 197:12, 226:16, 228:7, 378:2</p> <p><b>confirmation</b> [2] - 259:10, 259:17</p> <p><b>confirmed</b> [3] - 180:9, 196:25, 218:16</p> <p><b>confirming</b> [1] - 180:6</p> <p><b>conflicts</b> [1] - 5:2</p> <p><b>conform</b> [3] - 53:21, 252:1, 281:19</p> <p><b>conformance</b> [1] - 89:13</p> <p><b>conforming</b> [1] - 265:5</p> <p><b>confused</b> [1] - 166:10</p> <p><b>confusing</b> [1] - 47:4</p> <p><b>confusion</b> [3] - 136:17, 137:1, 137:18</p> <p><b>Congress</b> [1] - 269:14</p> <p><b>conjunction</b> [2] - 119:6, 242:1</p> <p><b>connect</b> [1] - 74:24</p> <p><b>connections</b> [1] - 97:7</p> <p><b>conscientiousness</b> [1] - 300:7</p> <p><b>consequence</b> [1] - 383:9</p> <p><b>consequences</b> [1] - 322:19</p> <p><b>consequently</b> [1] - 69:13</p> <p><b>conservation</b> [1] - 204:16</p> <p><b>Conservation</b> [1] - 372:15</p> <p><b>conservative</b> [6] - 56:16, 56:23, 66:9, 115:8, 191:10</p> <p><b>conserve</b> [1] - 121:25</p> <p><b>consider</b> [19] - 76:5, 101:22, 132:4, 132:16, 218:18, 262:8, 263:21, 267:5, 267:9, 268:11, 268:12, 272:20, 274:17, 277:1, 322:21, 330:14, 333:20,</p>	<p>344:6, 362:2</p> <p><b>consideration</b> [6] - 20:18, 286:21, 332:2, 354:17, 362:12, 370:7</p> <p><b>considerations</b> [1] - 246:17</p> <p><b>considered</b> [21] - 96:8, 96:24, 97:21, 100:10, 135:11, 140:13, 165:6, 165:10, 166:14, 166:15, 166:16, 195:2, 195:10, 220:7, 246:24, 262:13, 262:19, 271:19, 274:25, 333:23, 362:14</p> <p><b>considering</b> [2] - 53:7, 338:6</p> <p><b>considers</b> [4] - 112:1, 112:2, 112:4, 260:9</p> <p><b>consist</b> [1] - 35:6</p> <p><b>consisted</b> [1] - 192:6</p> <p><b>consistency</b> [1] - 18:25</p> <p><b>consistent</b> [12] - 14:22, 26:6, 50:25, 109:25, 115:18, 118:23, 126:9, 129:4, 147:4, 185:7, 275:4, 325:21</p> <p><b>consistently</b> [2] - 21:3, 112:5</p> <p><b>consists</b> [2] - 3:8, 84:8</p> <p><b>consortium</b> [1] - 337:18</p> <p><b>constant</b> [3] - 122:18, 127:21, 248:13</p> <p><b>constantly</b> [4] - 122:15, 142:15, 321:10, 321:11</p> <p><b>constituents</b> [4] - 264:16, 265:2, 265:3, 352:8</p> <p><b>constitute</b> [1] - 329:18</p> <p><b>constituting</b> [1] - 353:21</p> <p><b>constitution</b> [1] - 344:10</p> <p><b>constitutionally</b> [1] - 345:8</p> <p><b>constrained</b> [1] - 252:2</p> <p><b>constraint</b> [1] - 34:15</p> <p><b>construct</b> [5] - 62:1, 63:12, 75:22, 89:8, 114:24</p> <p><b>constructed</b> [16] -</p>	<p>25:6, 50:16, 51:7, 52:7, 64:23, 71:6, 71:16, 71:19, 72:5, 73:1, 88:10, 215:23, 230:12, 290:17, 290:18</p> <p><b>constructing</b> [3] - 61:23, 90:3, 232:2</p> <p><b>Construction</b> [1] - 365:14</p> <p><b>construction</b> [78] - 18:17, 24:2, 24:11, 24:17, 25:9, 25:21, 25:25, 50:2, 62:5, 62:6, 62:9, 65:14, 65:23, 70:25, 71:5, 72:17, 75:21, 75:23, 76:19, 80:20, 83:1, 83:24, 84:22, 84:24, 88:9, 89:1, 89:7, 89:9, 89:11, 89:12, 89:14, 118:8, 122:1, 126:12, 126:14, 132:16, 137:25, 138:6, 138:22, 139:11, 139:24, 140:3, 150:16, 150:18, 151:3, 151:6, 151:11, 157:6, 159:1, 159:10, 161:23, 163:15, 163:18, 166:8, 167:2, 167:3, 167:5, 167:24, 189:23, 190:12, 201:1, 203:4, 215:20, 215:23, 216:3, 216:12, 216:13, 216:15, 216:22, 216:23, 217:13, 219:14, 236:25, 290:23, 313:7, 349:20, 363:17, 367:20</p> <p><b>construction-related</b> [1] - 76:19</p> <p><b>constructions</b> [1] - 217:9</p> <p><b>consultants</b> [2] - 18:15, 54:21</p> <p><b>consultation</b> [6] - 192:5, 192:8, 192:12, 192:14, 192:17, 334:11</p> <p><b>consulted</b> [2] - 110:2, 136:20</p> <p><b>Consulting</b> [2] - 91:5, 115:24</p> <p><b>consume</b> [1] - 254:15</p> <p><b>Consumer</b> [1] - 11:7</p>	<p><b>consumption</b> [1] - 351:18</p> <p><b>contact</b> [4] - 67:6, 84:12, 120:22, 221:7</p> <p><b>contacted</b> [2] - 137:4, 216:25</p> <p><b>contain</b> [12] - 36:14, 41:20, 41:24, 79:9, 80:5, 105:22, 121:5, 183:17, 258:22, 259:17, 263:23, 270:21</p> <p><b>contained</b> [7] - 49:7, 90:12, 194:21, 215:3, 254:1, 317:17, 370:24</p> <p><b>container</b> [1] - 195:23</p> <p><b>containing</b> [4] - 26:18, 121:19, 128:2, 258:15</p> <p><b>containment</b> [5] - 45:14, 59:12, 203:7, 214:24, 274:22</p> <p><b>contains</b> [7] - 108:1, 124:1, 153:10, 253:20, 257:8, 263:22, 270:18</p> <p><b>contaminant</b> [3] - 56:11, 60:6, 61:10</p> <p><b>contaminants</b> [2] - 352:7, 352:25</p> <p><b>contaminate</b> [5] - 260:23, 317:21, 319:17, 329:17, 329:18</p> <p><b>contaminated</b> [14] - 15:13, 26:24, 122:3, 126:17, 138:21, 174:7, 183:11, 183:23, 201:3, 221:7, 221:21, 317:24, 318:1, 336:15</p> <p><b>contamination</b> [9] - 149:8, 150:4, 181:7, 191:6, 191:9, 191:22, 221:15, 353:6, 353:11</p> <p><b>content</b> [3] - 38:22, 374:5</p> <p><b>context</b> [6] - 238:18, 252:14, 266:14, 268:7, 270:10, 278:1</p> <p><b>contingency</b> [2] - 351:9, 353:9</p> <p><b>continually</b> [1] - 28:6</p> <p><b>continuance</b> [1] - 115:15</p> <p><b>continue</b> [19] - 28:18, 120:1, 129:4, 148:2,</p>
--	---	--	---	--

<p>161:21, 163:15, 165:22, 180:14, 214:16, 272:10, 273:24, 274:4, 295:4, 303:16, 362:18, 362:19, 362:24, 363:2, 372:3 <b>continuing</b> [2] - 297:3, 349:18 <b>continuity</b> [1] - 33:7 <b>continuous</b> [5] - 120:8, 123:11, 205:11, 214:19, 225:4 <b>continuously</b> [4] - 77:21, 124:4, 208:25, 209:13 <b>contour</b> [1] - 87:23 <b>contract</b> [15] - 10:14, 11:1, 12:16, 17:11, 131:1, 131:8, 131:9, 149:12, 149:15, 149:24, 150:6, 150:7, 150:8, 169:25, 170:3 <b>contracted</b> [1] - 365:17 <b>contractor</b> [4] - 89:8, 142:13, 365:15, 367:12 <b>contractors</b> [10] - 73:24, 74:3, 75:5, 140:1, 167:15, 201:2, 212:18, 373:13, 379:7, 379:24 <b>contracts</b> [2] - 302:5, 373:13 <b>contrary</b> [5] - 261:12, 267:20, 268:3, 303:11, 334:21 <b>contrived</b> [1] - 321:3 <b>Control</b> [1] - 374:16 <b>control</b> [43] - 20:6, 22:7, 23:13, 23:15, 24:18, 24:22, 25:21, 28:18, 35:20, 38:6, 59:23, 65:4, 69:12, 69:14, 75:25, 83:19, 83:21, 83:23, 89:10, 116:20, 118:22, 120:16, 124:17, 133:6, 133:7, 138:23, 143:5, 143:6, 155:16, 155:19, 156:4, 161:9, 173:7, 176:20, 176:22, 182:10, 238:18, 327:5, 333:17,</p>	<p>334:3, 340:2, 366:21, 367:1 <b>controlled</b> [1] - 41:6 <b>controls</b> [1] - 85:8 <b>controversy</b> [1] - 8:2 <b>convenience</b> [3] - 22:22, 160:13, 304:9 <b>convenient</b> [1] - 147:5 <b>conveniently</b> [1] - 16:15 <b>conventional</b> [2] - 75:17, 211:17 <b>conversant</b> [1] - 269:6 <b>conversation</b> [1] - 218:1 <b>conversations</b> [3] - 5:18, 192:16, 206:3 <b>convey</b> [3] - 66:7, 265:20, 269:7 <b>conveyance</b> [1] - 123:25 <b>conveyed</b> [2] - 83:3, 84:13 <b>conveys</b> [1] - 258:5 <b>convince</b> [2] - 190:21, 190:22 <b>convinced</b> [1] - 214:13 <b>cool</b> [2] - 237:22, 253:1 <b>cooperatively</b> [1] - 125:14 <b>coordination</b> [1] - 261:3 <b>copies</b> [4] - 4:15, 13:12, 154:7, 342:18 <b>copper</b> [1] - 352:11 <b>copy</b> [6] - 4:15, 91:14, 114:1, 259:13, 286:10, 356:24 <b>cordon</b> [1] - 206:1 <b>Corinth</b> [1] - 299:25 <b>corner</b> [2] - 291:5, 338:8 <b>corners</b> [1] - 44:1 <b>corporate</b> [2] - 323:4, 345:3 <b>Corporation</b> [2] - 363:15, 371:19 <b>corporations</b> [1] - 305:5 <b>Corps</b> [27] - 91:25, 92:11, 92:17, 92:21, 96:2, 100:9, 101:18, 101:22, 102:6, 102:9, 102:13, 102:16, 102:25, 103:3, 103:6, 103:11, 103:14, 104:10, 108:9,</p>	<p>108:16, 108:25, 112:3, 192:16, 203:17, 219:20, 224:17, 245:7 <b>correct</b> [23] - 17:11, 136:5, 150:10, 152:14, 153:17, 153:19, 159:3, 160:1, 160:8, 178:17, 184:1, 193:15, 210:16, 216:5, 219:16, 276:12, 276:24, 278:13, 280:21, 281:17, 281:18, 356:15 <b>corrected</b> [1] - 214:14 <b>correcting</b> [1] - 47:20 <b>corrections</b> [1] - 342:23 <b>correctly</b> [1] - 152:11 <b>corridor</b> [1] - 258:13 <b>corroborated</b> [1] - 34:12 <b>corroborative</b> [2] - 33:18, 34:16 <b>cosmetics</b> [1] - 323:12 <b>cost</b> [4] - 19:10, 20:19, 304:9, 379:22 <b>Costigan</b> [1] - 318:17 <b>costly</b> [2] - 243:2, 314:9 <b>costs</b> [5] - 20:15, 20:21, 22:23, 149:5, 152:5 <b>Council</b> [2] - 108:18, 328:14 <b>counsel</b> [3] - 3:3, 5:12, 284:23 <b>counted</b> [1] - 204:17 <b>counter</b> [1] - 190:13 <b>counterproductive</b> [1] - 267:18 <b>counting</b> [1] - 204:18 <b>country</b> [2] - 74:15, 374:14 <b>counts</b> [1] - 107:9 <b>County</b> [2] - 183:15, 353:5 <b>county</b> [1] - 13:1 <b>couple</b> [20] - 43:5, 63:4, 66:16, 76:5, 77:10, 95:21, 106:2, 106:18, 146:18, 147:16, 148:6, 202:9, 276:8, 309:13, 310:5, 311:12, 314:15, 320:7, 333:19, 366:11</p>	<p><b>course</b> [14] - 13:9, 21:13, 47:10, 151:23, 155:3, 231:8, 254:12, 254:14, 254:19, 257:5, 260:12, 260:20, 306:9, 374:23 <b>courses</b> [1] - 250:18 <b>coursework</b> [1] - 113:24 <b>Covanta</b> [1] - 360:11 <b>covenant</b> [1] - 345:1 <b>cover</b> [37] - 25:20, 26:6, 64:1, 64:5, 64:14, 64:15, 64:23, 74:8, 74:11, 84:9, 84:10, 84:11, 100:22, 121:21, 121:24, 124:17, 124:18, 124:19, 124:20, 124:23, 149:5, 152:19, 152:20, 159:11, 159:17, 193:3, 198:25, 208:3, 235:11, 240:8, 240:21, 240:23, 296:13, 296:15, 331:4, 332:7 <b>covered</b> [7] - 64:8, 98:7, 102:12, 198:19, 199:11, 199:16, 230:13 <b>covering</b> [1] - 98:7 <b>covers</b> [1] - 84:11 <b>Cox</b> [1] - 109:11 <b>crack</b> [1] - 124:24 <b>Craig</b> [7] - 363:11, 363:13, 371:17, 375:7, 376:25, 377:1 <b>cramming</b> [1] - 372:12 <b>Cranberry</b> [1] - 313:3 <b>create</b> [13] - 74:23, 117:14, 129:12, 151:11, 189:10, 241:7, 243:5, 302:24, 314:25, 329:20, 343:4, 354:12, 384:22 <b>created</b> [9] - 164:21, 168:18, 321:6, 322:12, 335:17, 339:16, 341:5, 344:19, 382:18 <b>creates</b> [2] - 40:8, 180:3 <b>creating</b> [5] - 163:22, 241:4, 316:24, 343:22, 344:1</p>	<p><b>creations</b> [1] - 316:19 <b>credits</b> [6] - 59:10, 59:13, 210:18, 210:19, 210:20, 210:22 <b>creek</b> [2] - 226:19, 227:2 <b>crest</b> [1] - 31:12 <b>crime</b> [2] - 384:20, 384:24 <b>Criteria</b> [2] - 90:11, 190:1 <b>criteria</b> [29] - 30:2, 30:19, 31:4, 35:23, 36:4, 36:5, 42:8, 44:13, 49:6, 55:6, 56:25, 59:17, 61:9, 84:4, 100:10, 108:5, 190:7, 208:16, 239:23, 259:5, 261:18, 286:22, 286:24, 287:2, 328:20, 330:5, 332:1, 347:2, 378:15 <b>critical</b> [22] - 33:20, 95:2, 100:15, 110:19, 127:10, 193:5, 193:7, 257:11, 257:14, 257:18, 258:1, 258:2, 258:16, 258:19, 259:11, 259:19, 295:24, 325:5, 346:9, 375:20 <b>criticisms</b> [2] - 258:4, 260:1 <b>critters</b> [2] - 315:6, 315:10 <b>CROCKETT</b> [1] - 320:5 <b>Crockett</b> [3] - 318:3, 320:2, 320:6 <b>crops</b> [2] - 373:8, 373:9 <b>Cross</b> [2] - 1:10, 2:2 <b>cross</b> [11] - 4:9, 4:23, 5:16, 130:2, 130:7, 130:8, 265:23, 276:1, 277:15, 282:12, 360:13 <b>crossings</b> [1] - 110:11 <b>Crossroads</b> [1] - 171:1 <b>crossroads</b> [1] - 325:6 <b>crow</b> [1] - 381:8 <b>crowd</b> [1] - 293:3 <b>crushed</b> [4] - 174:9, 187:25, 188:2, 188:3 <b>crushing</b> [2] - 187:4, 187:6</p>
---	---	--	--	---

<p><b>cubic</b> [13] - 2:9, 16:4, 16:10, 18:8, 52:9, 53:4, 62:11, 114:18, 115:4, 284:11, 289:21, 341:16, 373:4</p> <p><b>cull</b> [1] - 313:8</p> <p><b>cultural</b> [1] - 351:7</p> <p><b>cum</b> [1] - 113:22</p> <p><b>current</b> [25] - 27:20, 53:10, 74:23, 74:24, 88:19, 88:25, 115:6, 115:16, 115:18, 116:18, 118:23, 120:14, 129:14, 172:20, 194:21, 211:25, 229:23, 231:15, 266:16, 269:4, 279:18, 302:5, 328:23, 348:6</p> <p><b>customer</b> [4] - 201:14, 201:17, 303:24, 367:17</p> <p><b>customers</b> [6] - 21:19, 303:4, 304:10, 327:4, 327:6, 367:6</p> <p><b>cut</b> [8] - 74:11, 75:6, 76:11, 89:16, 183:20, 201:15, 201:18, 201:25</p> <p><b>cuts</b> [1] - 64:22</p> <p><b>cycle</b> [2] - 62:8</p> <p><b>Cynthia</b> [1] - 1:19</p>	<p>318:25, 343:25</p> <p><b>data</b> [19] - 35:3, 125:9, 125:25, 179:23, 191:25, 209:18, 214:14, 217:2, 222:19, 232:5, 269:14, 270:3, 270:18, 270:20, 270:22, 271:4, 271:9, 322:24</p> <p><b>database</b> [3] - 209:16, 222:13, 222:19</p> <p><b>date</b> [5] - 17:13, 17:18, 98:8, 117:11, 119:25</p> <p><b>dates</b> [2] - 17:7, 223:13</p> <p><b>daughter</b> [1] - 362:5</p> <p><b>Dave</b> [1] - 285:4</p> <p><b>David</b> [2] - 1:23, 3:10</p> <p><b>day-to-day</b> [1] - 308:24</p> <p><b>days</b> [8] - 69:3, 69:7, 119:21, 208:8, 208:17, 208:20, 247:25, 370:22</p> <p><b>daytime</b> [1] - 118:1</p> <p><b>dead</b> [1] - 183:18</p> <p><b>deadline</b> [2] - 341:7, 348:25</p> <p><b>deal</b> [8] - 23:8, 35:18, 78:1, 145:20, 149:16, 231:12, 350:7, 382:13</p> <p><b>dealing</b> [3] - 84:6, 248:1, 355:2</p> <p><b>deals</b> [1] - 321:3</p> <p><b>dealt</b> [1] - 149:10</p> <p><b>death</b> [4] - 264:2, 321:13, 321:16, 382:16</p> <p><b>debate</b> [2] - 163:25, 348:4</p> <p><b>debating</b> [1] - 304:25</p> <p><b>debris</b> [39] - 24:3, 24:11, 24:18, 25:21, 25:25, 26:24, 65:24, 122:2, 126:13, 126:15, 132:17, 138:1, 138:7, 138:23, 139:11, 139:24, 139:25, 140:4, 150:16, 150:19, 151:4, 151:6, 159:2, 159:10, 161:23, 163:16, 163:18, 166:9, 167:3, 167:4, 167:6, 201:1, 313:7, 326:7, 327:20, 367:20, 367:25,</p>	<p>368:10, 379:10</p> <p><b>decade</b> [1] - 274:8</p> <p><b>decades</b> [1] - 46:5</p> <p><b>DECB</b> [1] - 244:23</p> <p><b>DECD</b> [1] - 131:20</p> <p><b>decent</b> [2] - 16:5, 99:21</p> <p><b>decide</b> [2] - 169:11, 232:21</p> <p><b>decided</b> [2] - 98:12, 240:1</p> <p><b>decision</b> [8] - 15:9, 27:9, 261:14, 261:16, 295:25, 296:17, 339:19, 383:12</p> <p><b>decisions</b> [2] - 343:4, 355:10</p> <p><b>decline</b> [1] - 275:20</p> <p><b>declined</b> [1] - 255:12</p> <p><b>declining</b> [1] - 266:3</p> <p><b>decomposing</b> [1] - 199:6</p> <p><b>decrease</b> [2] - 267:19, 348:10</p> <p><b>decreased</b> [1] - 243:13</p> <p><b>deed</b> [7] - 104:20, 108:11, 108:14, 108:15, 108:19, 205:6, 219:18</p> <p><b>deemed</b> [1] - 322:14</p> <p><b>deep</b> [3] - 32:15, 105:22, 226:23</p> <p><b>deeper</b> [3] - 32:4, 32:17, 227:9</p> <p><b>deepest</b> [1] - 63:8</p> <p><b>deeply</b> [1] - 343:16</p> <p><b>defect</b> [2] - 60:24, 74:23</p> <p><b>defects</b> [2] - 75:1, 76:4</p> <p><b>defend</b> [1] - 252:25</p> <p><b>defending</b> [1] - 344:22</p> <p><b>defense</b> [1] - 344:15</p> <p><b>deferred</b> [1] - 342:12</p> <p><b>defies</b> [1] - 26:9</p> <p><b>define</b> [2] - 185:24, 227:4</p> <p><b>defined</b> [7] - 42:20, 93:17, 130:23, 144:6, 210:4, 261:8, 329:22</p> <p><b>defines</b> [1] - 94:18</p> <p><b>defining</b> [2] - 54:2, 332:7</p> <p><b>definite</b> [1] - 146:23</p> <p><b>definition</b> [17] - 94:21, 94:24, 100:7, 105:13, 107:7,</p>	<p>136:18, 137:7, 140:8, 176:4, 186:10, 254:14, 277:1, 329:22, 329:23, 329:25, 332:16, 334:23</p> <p><b>definitions</b> [2] - 105:10, 280:23</p> <p><b>deforestation</b> [2] - 255:13, 255:19</p> <p><b>defunct</b> [1] - 136:2</p> <p><b>degradation</b> [1] - 72:17</p> <p><b>degrades</b> [1] - 345:3</p> <p><b>degree</b> [11] - 9:7, 9:8, 29:13, 29:15, 34:17, 34:21, 48:22, 91:3, 113:23, 113:25</p> <p><b>delay</b> [2] - 116:20, 339:20</p> <p><b>deliberately</b> [1] - 59:20</p> <p><b>deliberations</b> [1] - 333:20</p> <p><b>delineated</b> [2] - 274:13, 291:6</p> <p><b>delineation</b> [5] - 91:17, 92:21, 92:23, 273:14, 274:19</p> <p><b>delineations</b> [8] - 91:8, 92:14, 92:16, 92:18, 94:2, 98:5, 98:8</p> <p><b>deliver</b> [1] - 300:22</p> <p><b>delivered</b> [5] - 27:7, 205:16, 313:12, 332:13, 334:13</p> <p><b>deliveries</b> [2] - 135:8, 170:17</p> <p><b>delivering</b> [3] - 121:1, 212:19, 337:22</p> <p><b>delving</b> [1] - 289:1</p> <p><b>demand</b> [3] - 308:1, 308:4</p> <p><b>demo</b> [2] - 326:6, 327:20</p> <p><b>demolished</b> [1] - 367:23</p> <p><b>demolition</b> [35] - 24:2, 24:11, 24:18, 25:21, 25:25, 65:23, 122:2, 126:13, 126:14, 132:17, 138:1, 138:7, 138:22, 139:11, 139:24, 140:3, 150:16, 150:18, 151:4, 151:6, 151:11, 159:2, 159:10, 163:16, 163:18,</p>	<p>166:9, 167:2, 167:4, 167:6, 167:24, 201:1, 349:20, 367:19, 367:20, 379:10</p> <p><b>demonstrate</b> [1] - 89:22</p> <p><b>demonstrated</b> [1] - 40:11</p> <p><b>demonstrates</b> [1] - 230:4</p> <p><b>demonstrating</b> [1] - 126:10</p> <p><b>demonstrations</b> [1] - 157:10</p> <p><b>denial</b> [2] - 331:12, 331:14</p> <p><b>denied</b> [1] - 341:17</p> <p><b>denote</b> [1] - 291:7</p> <p><b>denoted</b> [2] - 290:3, 290:11</p> <p><b>denotes</b> [1] - 291:6</p> <p><b>dense</b> [4] - 35:6, 46:14, 105:23, 246:12</p> <p><b>density</b> [7] - 35:9, 66:22, 68:17, 80:25, 171:5, 171:22</p> <p><b>dental</b> [1] - 316:5</p> <p><b>deny</b> [1] - 339:20</p> <p><b>deodorizing</b> [2] - 121:9, 122:5</p> <p><b>DEP</b> [77] - 3:8, 5:12, 12:15, 23:25, 30:2, 30:19, 36:5, 40:21, 42:15, 44:14, 62:3, 76:14, 84:1, 85:4, 85:25, 86:7, 86:11, 89:3, 89:22, 91:25, 92:19, 94:14, 94:19, 94:21, 96:4, 100:17, 102:3, 102:10, 104:7, 104:9, 107:7, 108:8, 108:16, 108:24, 109:10, 112:1, 113:6, 126:4, 126:24, 143:19, 154:7, 161:17, 169:16, 170:22, 172:1, 176:25, 187:7, 191:25, 206:4, 219:20, 221:20, 222:7, 222:15, 228:10, 228:24, 238:22, 244:18, 277:18, 282:2, 285:2, 286:14, 288:16, 288:20, 294:24, 314:4, 326:5,</p>
<b>D</b>				
<p><b>dabbling</b> [1] - 359:22</p> <p><b>dad</b> [1] - 365:17</p> <p><b>Daily</b> [2] - 3:22, 285:21</p> <p><b>daily</b> [15] - 25:20, 120:5, 121:20, 121:24, 152:19, 152:20, 159:11, 159:17, 208:10, 240:23, 296:13, 296:15, 308:25, 331:4, 332:7</p> <p><b>dam</b> [3] - 251:2, 266:19, 316:6</p> <p><b>damage</b> [2] - 73:1, 76:19</p> <p><b>damming</b> [1] - 255:13</p> <p><b>Damming</b> [1] - 255:18</p> <p><b>dams</b> [3] - 266:5, 266:6, 266:9</p> <p><b>Dan</b> [4] - 365:9, 365:11, 365:14, 369:6</p> <p><b>Dana</b> [1] - 4:10</p> <p><b>dangerous</b> [2] -</p>				

<p>326:25, 331:11, 334:11, 336:24, 337:6, 342:5, 355:17, 358:9, 371:24, 378:6, 378:23</p> <p><b>DEP's</b> [8] - 94:24, 100:7, 101:22, 102:19, 107:4, 200:4, 206:10, 281:6</p> <p><b>DEP/EPA</b> [1] - 221:4</p> <p><b>department</b> [3] - 136:21, 337:4, 337:5</p> <p><b>Department</b> [21] - 3:16, 6:23, 9:5, 12:4, 12:8, 55:3, 94:13, 109:8, 109:9, 109:13, 109:16, 156:24, 157:7, 157:18, 244:21, 259:12, 262:10, 285:15, 329:7, 329:13, 329:24</p> <p><b>DEPARTMENT</b> [1] - 1:22</p> <p><b>Department's</b> [7] - 3:19, 4:1, 4:21, 6:25, 285:18, 285:25, 286:17</p> <p><b>dependent</b> [4] - 131:2, 138:5, 207:19, 366:23</p> <p><b>depleting</b> [1] - 352:9</p> <p><b>deposit</b> [2] - 43:18, 252:22</p> <p><b>depression</b> [1] - 100:20</p> <p><b>depth</b> [4] - 32:1, 36:11, 36:12, 115:25</p> <p><b>derived</b> [2] - 305:21, 320:23</p> <p><b>describe</b> [22] - 29:23, 35:4, 49:5, 49:22, 49:23, 96:8, 104:5, 168:12, 187:3, 187:19, 191:19, 197:14, 200:12, 221:14, 234:10, 236:7, 236:13, 238:17, 240:4, 245:3, 252:13, 320:19</p> <p><b>described</b> [12] - 28:7, 184:21, 188:12, 193:2, 210:17, 210:18, 234:2, 235:21, 244:25, 255:20, 344:13, 345:21</p> <p><b>describing</b> [1] - 30:7</p>	<p><b>description</b> [4] - 20:2, 50:1, 210:10, 220:24</p> <p><b>descriptions</b> [1] - 28:14</p> <p><b>desert</b> [1] - 346:8</p> <p><b>Desert</b> [2] - 313:1, 313:2</p> <p><b>deserve</b> [1] - 340:16</p> <p><b>Design</b> [1] - 90:12</p> <p><b>design</b> [98] - 18:16, 30:23, 30:24, 37:16, 44:11, 48:13, 48:15, 48:21, 48:25, 49:4, 49:8, 49:19, 49:24, 52:21, 53:11, 53:17, 53:19, 53:20, 53:21, 53:25, 54:5, 54:10, 54:12, 54:14, 54:15, 54:17, 54:19, 54:20, 54:24, 54:25, 55:6, 55:19, 56:3, 56:5, 56:19, 56:22, 57:1, 58:1, 58:10, 58:12, 58:15, 58:16, 58:17, 59:9, 59:13, 59:19, 60:3, 61:15, 61:25, 62:2, 62:11, 63:19, 66:9, 66:14, 67:7, 68:3, 68:4, 69:2, 78:14, 78:15, 78:16, 79:4, 79:7, 80:14, 82:25, 83:1, 85:6, 85:22, 88:18, 88:20, 88:23, 88:24, 88:25, 90:6, 90:8, 90:13, 90:14, 90:17, 91:10, 97:20, 97:22, 97:25, 98:6, 110:7, 113:21, 172:15, 202:13, 207:19, 207:22, 210:20, 211:16, 217:14, 227:24, 230:25, 247:13, 287:3, 371:21</p> <p><b>design-related</b> [1] - 90:13</p> <p><b>designated</b> [4] - 195:1, 257:11, 258:19, 346:24</p> <p><b>designed</b> [24] - 29:10, 49:5, 50:12, 52:18, 60:4, 66:12, 66:19, 76:3, 78:22, 83:20, 83:25, 84:1, 84:19, 92:5, 102:16, 123:4, 129:16, 175:24, 187:10, 188:19, 188:20, 191:11, 215:11, 301:11</p> <p><b>designer's</b> [1] -</p>	<p>202:17</p> <p><b>designing</b> [3] - 61:18, 101:20, 380:10</p> <p><b>designs</b> [6] - 54:16, 59:21, 72:12, 89:5, 89:6, 211:18</p> <p><b>desirable</b> [2] - 35:13, 46:11</p> <p><b>desktop</b> [1] - 245:19</p> <p><b>despite</b> [2] - 99:1, 333:16</p> <p><b>destined</b> [2] - 164:10, 164:12</p> <p><b>destroyed</b> [3] - 267:15, 322:13, 324:20</p> <p><b>destroying</b> [1] - 124:13</p> <p><b>destruction</b> [2] - 255:14, 255:19</p> <p><b>detail</b> [8] - 44:6, 53:24, 57:20, 62:24, 196:1, 239:19, 252:13, 289:5</p> <p><b>detailed</b> [10] - 49:25, 89:4, 89:6, 117:16, 117:21, 119:18, 126:20, 128:10, 129:20, 342:20</p> <p><b>detailing</b> [1] - 244:16</p> <p><b>details</b> [3] - 128:24, 216:14, 290:21</p> <p><b>detect</b> [17] - 42:12, 44:17, 59:14, 68:21, 68:23, 69:2, 69:9, 74:18, 75:11, 191:17, 191:21, 196:2, 196:4, 208:8, 233:13, 237:6, 238:13</p> <p><b>detected</b> [4] - 125:17, 189:22, 228:3, 247:15</p> <p><b>detecting</b> [2] - 198:13, 247:18</p> <p><b>detection</b> [18] - 45:1, 45:2, 65:1, 68:12, 68:16, 69:6, 69:15, 70:8, 70:11, 71:25, 72:4, 77:24, 184:3, 202:11, 208:15, 208:24, 247:18, 247:21</p> <p><b>detention</b> [1] - 84:14</p> <p><b>determination</b> [26] - 6:3, 13:17, 18:7, 20:17, 51:1, 132:9, 132:11, 152:23, 152:24, 153:10, 155:5, 156:11,</p>	<p>157:4, 158:15, 196:21, 289:20, 289:22, 296:22, 326:18, 330:17, 332:1, 336:22, 337:9, 338:13, 339:24, 341:14</p> <p><b>determinations</b> [1] - 329:25</p> <p><b>determine</b> [16] - 30:18, 42:13, 42:18, 43:2, 116:1, 144:4, 176:6, 176:9, 191:7, 196:23, 196:24, 232:7, 245:24, 246:21, 319:5, 337:13</p> <p><b>determined</b> [10] - 93:13, 96:14, 96:18, 97:1, 116:4, 116:22, 119:1, 127:4, 212:17, 352:3</p> <p><b>determining</b> [4] - 190:11, 231:24, 245:2, 245:4</p> <p><b>detoxified</b> [1] - 254:18</p> <p><b>detrimental</b> [1] - 354:3</p> <p><b>develop</b> [5] - 15:19, 34:17, 70:20, 84:21, 152:5</p> <p><b>developable</b> [1] - 108:2</p> <p><b>developed</b> [14] - 41:24, 50:8, 50:14, 68:4, 108:8, 113:9, 167:14, 215:25, 222:8, 235:9, 290:9, 293:22, 374:13, 374:15</p> <p><b>developer</b> [1] - 306:1</p> <p><b>developing</b> [1] - 49:11</p> <p><b>Development</b> [1] - 12:9</p> <p><b>development</b> [13] - 51:11, 52:4, 63:23, 64:6, 84:20, 85:2, 85:3, 108:3, 219:21, 219:25, 235:7, 246:14, 342:16</p> <p><b>developments</b> [1] - 52:6</p> <p><b>diagram</b> [6] - 31:21, 31:23, 32:11, 182:21, 290:15</p> <p><b>diagrams</b> [2] - 291:12, 369:13</p> <p><b>diameter</b> [1] - 187:23</p> <p><b>Diane</b> [3] - 320:2, 324:4, 324:7</p> <p><b>dichotomy</b> [1] -</p>	<p>260:10</p> <p><b>dictates</b> [1] - 96:7</p> <p><b>die</b> [2] - 317:7</p> <p><b>died</b> [1] - 383:22</p> <p><b>diesel</b> [2] - 305:20, 324:10</p> <p><b>difference</b> [10] - 70:4, 70:7, 87:17, 87:19, 150:12, 179:15, 198:18, 201:9, 294:9, 323:19</p> <p><b>differences</b> [3] - 191:8, 200:13, 201:7</p> <p><b>different</b> [30] - 31:20, 52:7, 55:11, 55:21, 84:4, 90:2, 100:2, 106:11, 142:19, 151:8, 184:15, 194:12, 196:8, 196:9, 197:2, 197:3, 211:20, 222:15, 222:16, 222:17, 239:23, 245:8, 251:17, 290:15, 305:4, 318:19, 320:24, 355:2, 367:18, 380:20</p> <p><b>difficult</b> [11] - 65:7, 143:7, 166:19, 206:8, 212:21, 233:7, 285:11, 296:3, 306:5, 328:3, 355:10</p> <p><b>difficulty</b> [2] - 231:24, 345:12</p> <p><b>dig</b> [3] - 75:5, 367:24, 367:25</p> <p><b>digester</b> [1] - 374:9</p> <p><b>digesting</b> [1] - 374:18</p> <p><b>digestion</b> [3] - 307:1, 374:12, 374:15</p> <p><b>digging</b> [1] - 267:23</p> <p><b>diligence</b> [3] - 56:15, 300:6, 364:5</p> <p><b>diligent</b> [1] - 127:7</p> <p><b>dime</b> [1] - 305:19</p> <p><b>dimensional</b> [1] - 39:12</p> <p><b>dinner</b> [1] - 7:7</p> <p><b>DINNER</b> [1] - 283:4</p> <p><b>dioxide</b> [2] - 199:20, 377:10</p> <p><b>dioxin</b> [1] - 352:11</p> <p><b>dioxins</b> [1] - 351:19</p> <p><b>direct</b> [29] - 9:14, 12:18, 15:2, 23:12, 24:21, 26:17, 31:6, 34:11, 49:17, 49:21, 78:12, 99:5, 100:6, 100:12, 104:14,</p>
---	---	--	---	---



<p>110:9, 112:13, 122:8, 129:23, 151:25, 152:22, 153:2, 153:3, 170:14, 178:21, 179:20, 243:8, 244:15, 264:4</p> <p><b>directed</b> [5] - 23:3, 48:15, 138:18, 179:22, 271:7</p> <p><b>direction</b> [10] - 38:9, 118:19, 180:7, 180:8, 227:8, 230:1, 230:6, 325:5</p> <p><b>directional</b> [1] - 118:12</p> <p><b>directions</b> [7] - 30:25, 32:12, 37:14, 37:17, 229:21, 232:9, 320:24</p> <p><b>directly</b> [15] - 43:6, 132:13, 134:19, 137:5, 257:24, 267:4, 268:2, 276:7, 276:10, 276:14, 311:3, 330:11, 348:7, 365:23, 367:7</p> <p><b>director</b> [5] - 9:1, 9:4, 109:12, 251:3, 268:23</p> <p><b>Dirigo</b> [1] - 320:18</p> <p><b>disagree</b> [2] - 156:18, 331:10</p> <p><b>disagreed</b> [2] - 156:21, 331:11</p> <p><b>disappear</b> [3] - 162:13, 307:18, 322:11</p> <p><b>disappears</b> [1] - 36:11</p> <p><b>discard</b> [3] - 175:18, 337:12, 370:22</p> <p><b>discarded</b> [6] - 186:7, 186:13, 186:21, 334:21, 340:14, 354:9</p> <p><b>discarding</b> [1] - 217:18</p> <p><b>discernible</b> [1] - 269:11</p> <p><b>Discharge</b> [2] - 278:11, 278:12</p> <p><b>discharge</b> [7] - 85:9, 181:6, 181:22, 259:8, 280:1, 280:2, 280:4</p> <p><b>discharged</b> [6] - 257:24, 276:7, 276:10, 276:14, 352:8, 358:8</p> <p><b>discipline</b> [1] - 91:13</p>	<p><b>discourage</b> [1] - 303:19</p> <p><b>discouraged</b> [1] - 343:21</p> <p><b>discovered</b> [2] - 29:9, 334:14</p> <p><b>discrepancy</b> [1] - 179:13</p> <p><b>discrete</b> [1] - 33:8</p> <p><b>discuss</b> [13] - 18:25, 30:11, 44:5, 48:25, 91:16, 92:1, 92:2, 93:9, 95:13, 97:13, 99:2, 228:10, 239:16</p> <p><b>discussed</b> [16] - 14:20, 97:20, 98:13, 101:24, 101:25, 108:23, 120:21, 125:8, 174:4, 203:15, 225:13, 236:5, 239:13, 247:14, 264:17, 273:13</p> <p><b>discusses</b> [1] - 153:22</p> <p><b>discussing</b> [5] - 29:19, 30:13, 91:22, 114:3, 252:8</p> <p><b>discussion</b> [9] - 78:12, 139:7, 139:10, 143:22, 160:7, 174:16, 214:3, 261:21, 296:23</p> <p><b>discussions</b> [3] - 98:3, 102:2, 135:22</p> <p><b>Disease</b> [2] - 352:1, 352:3</p> <p><b>displaced</b> [1] - 204:13</p> <p><b>display</b> [1] - 166:23</p> <p><b>displayed</b> [1] - 154:9</p> <p><b>disposal</b> [45] - 14:15, 20:10, 21:5, 21:17, 21:23, 22:23, 24:1, 24:16, 25:1, 26:10, 27:5, 27:10, 27:24, 27:25, 51:5, 53:5, 114:14, 114:23, 126:7, 128:8, 130:24, 137:24, 153:13, 157:12, 157:17, 164:21, 167:25, 192:20, 200:21, 223:23, 224:9, 294:1, 294:20, 295:23, 296:16, 303:2, 304:21, 313:6, 327:11, 331:24, 337:14, 338:3, 341:4, 368:1, 369:1</p>	<p><b>Disposal</b> [1] - 166:21</p> <p><b>dispose</b> [4] - 156:20, 170:2, 304:6, 326:14</p> <p><b>disposed</b> [9] - 14:16, 20:14, 21:24, 23:4, 24:10, 28:22, 139:14, 339:9, 339:10</p> <p><b>disposer</b> [1] - 142:15</p> <p><b>disposing</b> [1] - 377:21</p> <p><b>disproportionate</b> [1] - 353:24</p> <p><b>disregard</b> [2] - 337:4, 346:4</p> <p><b>disrespect</b> [1] - 381:14</p> <p><b>disrupted</b> [1] - 269:21</p> <p><b>disruption</b> [3] - 114:23, 135:8, 170:16</p> <p><b>distance</b> [8] - 38:25, 116:21, 116:22, 236:15, 236:20, 237:11, 237:20, 304:8</p> <p><b>distinct</b> [3] - 223:1, 263:1, 290:10</p> <p><b>distinction</b> [1] - 276:17</p> <p><b>distressed</b> [1] - 346:3</p> <p><b>distribution</b> [1] - 262:22</p> <p><b>disturb</b> [1] - 57:24</p> <p><b>disturbance</b> [5] - 97:8, 190:1, 190:8, 219:23, 275:17</p> <p><b>disturbances</b> [1] - 108:21</p> <p><b>disturbing</b> [1] - 57:22</p> <p><b>ditches</b> [1] - 84:3</p> <p><b>diverse</b> [4] - 105:4, 105:23, 106:12, 107:20</p> <p><b>diversion</b> [8] - 14:21, 19:13, 19:20, 20:13, 21:18, 22:15, 28:21, 302:7</p> <p><b>diversity</b> [6] - 97:3, 217:19, 219:6, 219:7, 220:13, 246:7</p> <p><b>divert</b> [3] - 24:17, 74:12, 304:8</p> <p><b>diverted</b> [10] - 13:21, 13:24, 14:5, 22:1, 151:2, 159:11, 164:14, 164:20, 172:4, 302:20</p> <p><b>divide</b> [5] - 25:12, 184:20, 225:12, 225:25, 227:5</p>	<p><b>divided</b> [1] - 61:20</p> <p><b>division</b> [4] - 9:4, 12:3, 293:14, 293:15</p> <p><b>divisions</b> [1] - 361:3</p> <p><b>DMR</b> [1] - 109:22</p> <p><b>DOBBINS</b> [16] - 141:10, 141:16, 142:3, 142:10, 142:22, 143:1, 143:12, 143:14, 166:7, 166:18, 166:25, 167:10, 168:5, 224:14, 224:25, 225:5</p> <p><b>Dobbins</b> [3] - 1:16, 2:25, 284:20</p> <p><b>doc</b> [1] - 90:1</p> <p><b>document</b> [1] - 60:5</p> <p><b>documentation</b> [2] - 90:3, 127:15</p> <p><b>documented</b> [2] - 104:2, 247:5</p> <p><b>documents</b> [2] - 7:1, 127:13</p> <p><b>dog</b> [1] - 362:6</p> <p><b>Dolby</b> [1] - 9:23</p> <p><b>dollars</b> [7] - 11:19, 11:21, 134:12, 137:24, 150:1, 321:9, 377:16</p> <p><b>dominated</b> [1] - 106:5</p> <p><b>Donald</b> [3] - 305:2, 308:18, 308:20</p> <p><b>done</b> [49] - 24:7, 31:17, 31:18, 44:25, 47:10, 49:23, 50:25, 51:15, 54:19, 58:2, 71:17, 74:17, 74:19, 76:2, 76:21, 86:14, 92:14, 120:14, 121:23, 141:24, 147:7, 151:7, 151:25, 158:15, 172:2, 176:25, 180:24, 183:11, 183:22, 192:19, 198:25, 202:14, 211:19, 228:2, 229:21, 229:22, 280:13, 280:15, 298:22, 298:24, 319:5, 349:11, 375:13, 383:11, 383:23, 383:25</p> <p><b>doorjamb</b> [1] - 321:14</p> <p><b>doors</b> [1] - 298:25</p> <p><b>dot</b> [1] - 95:9</p> <p><b>dots</b> [1] - 95:7</p> <p><b>double</b> [6] - 78:4, 204:17, 247:16,</p>	<p>348:5, 349:10, 349:11</p> <p><b>doubling</b> [1] - 349:8</p> <p><b>doubt</b> [2] - 171:24, 339:6</p> <p><b>douse</b> [1] - 195:8</p> <p><b>doused</b> [1] - 194:15</p> <p><b>down</b> [98] - 15:20, 32:4, 32:16, 33:3, 35:7, 36:20, 37:20, 38:3, 51:21, 59:6, 60:16, 61:4, 62:21, 63:11, 66:7, 67:12, 67:16, 68:22, 69:10, 69:11, 69:18, 69:23, 70:2, 70:15, 70:18, 70:19, 70:21, 70:22, 74:21, 77:17, 77:18, 79:3, 80:23, 81:4, 84:14, 93:3, 112:20, 116:8, 116:9, 121:7, 121:19, 131:7, 134:5, 141:13, 143:10, 145:11, 147:18, 166:25, 180:17, 181:15, 187:21, 188:6, 197:15, 205:4, 207:13, 208:18, 208:22, 215:21, 215:22, 216:1, 226:22, 227:9, 228:10, 228:18, 234:19, 234:21, 245:11, 250:23, 255:16, 274:6, 285:12, 288:11, 295:17, 297:21, 304:4, 307:7, 307:13, 309:20, 310:22, 311:9, 323:17, 334:25, 340:8, 345:22, 348:12, 348:19, 349:13, 356:5, 356:9, 358:5, 360:12, 362:22, 367:10, 370:13, 371:5, 382:5</p> <p><b>downfall</b> [1] - 368:23</p> <p><b>downgradient</b> [1] - 231:6</p> <p><b>downhill</b> [3] - 38:8, 38:9, 39:22</p> <p><b>downstream</b> [7] - 257:19, 260:8, 262:8, 262:17, 262:20, 267:1, 268:2</p> <p><b>downward</b> [1] - 181:22</p>
---	---	--	---	--

<p><b>DOYLE</b> [27] - 7:11, 18:6, 18:12, 29:2, 47:22, 48:4, 90:24, 113:13, 129:22, 130:3, 139:2, 177:22, 178:4, 178:7, 178:9, 178:15, 178:20, 193:16, 193:18, 193:21, 193:23, 194:3, 204:7, 247:11, 248:5, 385:25, 386:4</p> <p><b>Doyle</b> [3] - 7:15, 179:5, 335:11</p> <p><b>dozer</b> [1] - 195:7</p> <p><b>Dr</b> [16] - 4:25, 191:4, 249:16, 249:21, 254:22, 268:21, 269:12, 272:4, 272:7, 274:9, 276:3, 279:12, 280:7, 286:6, 329:11, 351:15</p> <p><b>drags</b> [1] - 292:13</p> <p><b>drain</b> [5] - 62:22, 63:11, 67:12, 85:15, 321:16</p> <p><b>drainage</b> [7] - 64:16, 66:4, 66:12, 66:19, 68:14, 69:5, 85:15</p> <p><b>draining</b> [2] - 226:25, 234:15</p> <p><b>drains</b> [1] - 62:17</p> <p><b>dramatic</b> [1] - 326:6</p> <p><b>dramatically</b> [1] - 326:1</p> <p><b>Draper</b> [3] - 1:15, 2:25, 284:21</p> <p><b>DRAPER</b> [2] - 168:7, 169:7</p> <p><b>drastically</b> [1] - 366:12</p> <p><b>draw</b> [1] - 85:2</p> <p><b>drawing</b> [1] - 82:20</p> <p><b>drawn</b> [2] - 5:18, 267:10</p> <p><b>drew</b> [1] - 103:18</p> <p><b>drifting</b> [1] - 253:1</p> <p><b>drill</b> [2] - 41:19, 187:20</p> <p><b>drilled</b> [4] - 41:7, 187:20, 187:21, 188:6</p> <p><b>drink</b> [3] - 316:2, 316:4, 316:5</p> <p><b>drinking</b> [3] - 61:8, 61:12, 299:13</p> <p><b>drive</b> [3] - 299:6, 310:20, 355:21</p>	<p><b>drive-thrus</b> [1] - 299:6</p> <p><b>driven</b> [2] - 65:25, 67:11</p> <p><b>driver</b> [3] - 309:12, 310:8, 369:9</p> <p><b>drivers</b> [3] - 127:14, 221:1, 311:6</p> <p><b>driving</b> [4] - 56:3, 121:19, 141:5, 380:8</p> <p><b>drone</b> [1] - 199:3</p> <p><b>drop</b> [2] - 82:16, 173:20</p> <p><b>drops</b> [2] - 31:14, 31:15</p> <p><b>drought</b> [1] - 318:13</p> <p><b>drove</b> [1] - 333:14</p> <p><b>drugs</b> [1] - 382:8</p> <p><b>drum</b> [1] - 370:4</p> <p><b>dual</b> [1] - 73:8</p> <p><b>due</b> [6] - 22:23, 38:21, 56:14, 188:23, 259:8, 364:4</p> <p><b>dug</b> [2] - 31:25, 51:25</p> <p><b>dump</b> [4] - 335:13, 351:4, 355:12</p> <p><b>dumped</b> [2] - 174:2, 215:1</p> <p><b>dumping</b> [6] - 201:15, 267:24, 324:25, 332:10, 368:9, 384:18</p> <p><b>dumpster</b> [1] - 307:21</p> <p><b>dumpsters</b> [1] - 379:5</p> <p><b>duration</b> [2] - 11:1, 248:17</p> <p><b>during</b> [38] - 4:3, 4:19, 13:9, 21:13, 33:11, 35:7, 64:3, 79:23, 82:19, 83:23, 89:9, 89:11, 104:3, 104:23, 106:8, 115:3, 119:12, 121:4, 122:7, 122:9, 124:22, 125:13, 129:5, 129:17, 134:9, 182:11, 184:10, 194:24, 216:11, 216:12, 216:21, 217:12, 226:5, 234:25, 239:6, 243:14, 243:18, 285:9</p> <p><b>dwelt</b> [1] - 385:7</p> <p><b>dwindling</b> [1] - 324:19</p> <p><b>dynamic</b> [1] - 154:14</p>	<p style="text-align: center;"><b>E</b></p> <p><b>e-mail</b> [3] - 192:7, 192:11, 385:22</p>	<p><b>e-mails</b> [1] - 109:10</p> <p><b>early</b> [17] - 16:1, 29:11, 45:22, 51:16, 101:24, 108:24, 110:1, 117:5, 123:11, 184:10, 247:21, 321:7, 335:10, 342:25, 352:3, 364:9, 373:23</p> <p><b>earned</b> [2] - 18:18, 48:22</p> <p><b>ears</b> [1] - 236:23</p> <p><b>earth</b> [2] - 33:2, 33:6</p> <p><b>ease</b> [1] - 22:22</p> <p><b>easier</b> [2] - 203:5, 302:9</p> <p><b>easily</b> [1] - 188:21</p> <p><b>East</b> [3] - 9:23, 10:1, 37:23</p> <p><b>east</b> [9] - 31:9, 31:15, 83:5, 99:25, 110:13, 110:24, 181:20, 181:23, 181:24</p> <p><b>Eastern</b> [2] - 18:14, 301:15</p> <p><b>eastern</b> [2] - 18:17, 301:17</p> <p><b>EASTLER</b> [12] - 46:22, 46:25, 141:13, 143:17, 144:20, 144:23, 145:2, 209:24, 225:17, 250:1, 305:9, 305:12</p> <p><b>Eastler</b> [3] - 1:16, 2:21, 284:16</p> <p><b>Eastler's</b> [1] - 329:11</p> <p><b>easy</b> [7] - 42:4, 144:11, 160:17, 202:23, 202:24, 220:20, 311:18</p> <p><b>eat</b> [3] - 283:3, 319:19, 351:20</p> <p><b>eating</b> [1] - 267:10</p> <p><b>Eaton</b> [1] - 377:2</p> <p><b>Eben</b> [1] - 365:7</p> <p><b>ecological</b> [3] - 250:20, 251:1, 252:14</p> <p><b>ecologically</b> [2] - 220:8, 266:2</p> <p><b>ecologically-based</b> [1] - 266:2</p> <p><b>ecologist</b> [1] - 251:12</p> <p><b>ecology</b> [7] - 250:15, 250:19, 250:20, 250:22, 250:25, 251:22, 260:3</p> <p><b>EcoMaine</b> [2] - 148:14, 359:21</p> <p><b>economic</b> [6] -</p>	<p>155:21, 297:5, 302:7, 346:6, 347:3, 381:22</p> <p><b>Economic</b> [1] - 12:9</p> <p><b>economics</b> [2] - 250:21, 308:1</p> <p><b>Economy</b> [1] - 251:5</p> <p><b>economy</b> [6] - 251:23, 251:24, 297:14, 343:23, 344:2, 371:10</p> <p><b>ecosystem</b> [2] - 260:4, 260:6</p> <p><b>Ed</b> [5] - 130:16, 250:4, 261:1, 325:23, 351:17</p> <p><b>edge</b> [3] - 77:2, 78:9, 208:22</p> <p><b>edges</b> [1] - 62:19</p> <p><b>educate</b> [5] - 298:19, 299:1, 299:3, 299:14, 363:24</p> <p><b>educated</b> [2] - 305:17, 312:6</p> <p><b>educating</b> [1] - 363:20</p> <p><b>education</b> [1] - 315:2</p> <p><b>educational</b> [1] - 29:11</p> <p><b>Edward</b> [4] - 4:7, 5:1, 5:4, 286:7</p> <p><b>eel</b> [1] - 254:11</p> <p><b>effect</b> [7] - 191:14, 191:17, 191:22, 213:19, 226:25, 308:2, 330:13</p> <p><b>effective</b> [9] - 17:18, 17:20, 19:10, 21:8, 30:5, 117:12, 124:23, 125:1, 238:24</p> <p><b>effectively</b> [7] - 45:19, 45:21, 46:18, 124:9, 183:20, 362:19, 362:25</p> <p><b>effects</b> [14] - 214:12, 251:1, 262:8, 262:13, 264:1, 264:21, 264:22, 266:19, 267:5, 267:9, 272:25, 322:22, 354:3, 382:15</p> <p><b>Efficiency</b> [1] - 8:25</p> <p><b>efficient</b> [4] - 22:25, 115:20, 129:7, 376:3</p> <p><b>efficiently</b> [2] - 339:17, 376:4</p> <p><b>effluent</b> [10] - 257:24, 260:8, 262:21, 263:11, 263:18,</p>	<p>264:10, 265:5, 268:1, 276:9, 276:11</p> <p><b>effort</b> [5] - 98:10, 117:3, 117:10, 298:15, 376:5</p> <p><b>efforts</b> [20] - 19:13, 20:4, 21:19, 22:15, 28:15, 92:1, 97:14, 98:13, 99:1, 166:12, 268:3, 314:25, 329:1, 333:17, 336:13, 339:5, 341:3, 344:1, 352:20, 354:8</p> <p><b>egg</b> [4] - 95:21, 107:4, 107:5, 107:9</p> <p><b>eggs</b> [1] - 252:23</p> <p><b>eight</b> [12] - 81:1, 84:13, 93:10, 102:4, 102:23, 107:2, 112:18, 112:19, 224:21, 228:17, 351:23, 369:10</p> <p><b>eighty</b> [2] - 235:25, 236:1</p> <p><b>eighty-thousandths</b> [1] - 235:25</p> <p><b>either</b> [27] - 8:2, 15:8, 16:18, 26:20, 27:25, 51:22, 83:9, 93:10, 99:7, 112:11, 119:13, 161:25, 162:5, 162:7, 162:18, 167:25, 180:17, 197:11, 214:9, 217:13, 248:3, 251:10, 257:22, 276:5, 284:6, 288:8, 306:2</p> <p><b>Ekstead</b> [2] - 305:1, 305:4</p> <p><b>EKSTEAD</b> [4] - 305:3, 305:11, 305:13, 308:17</p> <p><b>elaborate</b> [1] - 225:25</p> <p><b>electrical</b> [3] - 33:2, 95:12, 99:25</p> <p><b>electricity</b> [3] - 302:25, 311:16, 311:24</p> <p><b>electrodes</b> [1] - 74:21</p> <p><b>electronically</b> [3] - 13:12, 244:23, 385:18</p> <p><b>electronics</b> [1] - 370:21</p> <p><b>Eleftheriou</b> [3] - 1:23, 3:9, 285:4</p> <p><b>ELEFTHERIOU</b> [5] - 170:13, 173:3,</p>
---	---	--	---	--	--

<p>241:22, 243:7, 244:14</p> <p><b>element</b> [1] - 229:3</p> <p><b>elemental</b> [1] - 243:6</p> <p><b>elevated</b> [1] - 189:22</p> <p><b>elevation</b> [3] - 81:25, 87:21, 181:4</p> <p><b>elevationally</b> [1] - 87:17</p> <p><b>elevations</b> [10] - 37:19, 38:3, 38:4, 40:2, 40:3, 40:4, 40:6, 87:19, 213:23</p> <p><b>eligible</b> [1] - 259:10</p> <p><b>eliminate</b> [4] - 76:17, 76:23, 240:15, 240:22</p> <p><b>eliminated</b> [5] - 12:1, 51:22, 230:14, 244:9</p> <p><b>Elimination</b> [1] - 278:12</p> <p><b>Eliot</b> [1] - 151:9</p> <p><b>Elizabeth</b> [1] - 345:14</p> <p><b>Ellsworth</b> [3] - 378:22, 378:25, 379:1</p> <p><b>emanating</b> [1] - 179:10</p> <p><b>embankments</b> [1] - 79:8</p> <p><b>emerge</b> [1] - 252:24</p> <p><b>emergency</b> [1] - 366:20</p> <p><b>emergent</b> [7] - 93:20, 99:16, 105:7, 105:12, 106:8, 246:6, 246:11</p> <p><b>emerging</b> [1] - 105:24</p> <p><b>EMERSON</b> [17] - 91:20, 93:2, 93:5, 93:8, 192:13, 192:23, 193:7, 203:18, 203:22, 204:22, 217:23, 218:5, 219:16, 220:3, 224:23, 225:1, 245:6</p> <p><b>Emerson</b> [9] - 52:22, 90:25, 179:5, 192:4, 203:15, 204:4, 217:16, 224:15, 244:25</p> <p><b>emission</b> [3] - 118:24, 119:4, 176:9</p> <p><b>emissions</b> [5] - 118:25, 119:2, 119:6, 129:15, 324:10</p> <p><b>emphasis</b> [1] - 29:14</p> <p><b>emphasize</b> [1] - 376:19</p>	<p><b>employ</b> [4] - 120:4, 294:6, 367:6, 379:21</p> <p><b>employed</b> [4] - 27:14, 91:4, 208:7, 300:2</p> <p><b>employee</b> [2] - 361:4, 361:24</p> <p><b>employees</b> [7] - 19:9, 301:10, 320:10, 348:18, 366:22, 367:8, 375:21</p> <p><b>employment</b> [2] - 375:23, 377:13</p> <p><b>empty</b> [3] - 121:15, 121:18, 307:20</p> <p><b>en</b> [1] - 194:14</p> <p><b>enable</b> [3] - 220:2, 232:5, 340:1</p> <p><b>encompasses</b> [1] - 205:9</p> <p><b>encompassing</b> [2] - 104:20, 225:3</p> <p><b>encourage</b> [8] - 5:16, 21:17, 237:17, 302:6, 313:8, 313:21, 330:23, 378:13</p> <p><b>encouraging</b> [3] - 19:12, 117:1, 162:25</p> <p><b>encroach</b> [1] - 274:20</p> <p><b>encroachment</b> [1] - 275:3</p> <p><b>end</b> [43] - 22:3, 22:8, 25:3, 64:7, 80:21, 82:13, 103:22, 104:16, 114:17, 126:13, 130:25, 131:20, 132:6, 133:6, 134:13, 135:18, 164:18, 179:12, 181:7, 181:9, 183:6, 183:10, 184:6, 184:24, 185:9, 185:23, 186:6, 190:3, 200:25, 228:14, 275:11, 301:21, 302:13, 323:16, 330:3, 359:12, 359:25, 364:21, 369:3, 371:5, 372:5, 385:19</p> <p><b>Endangered</b> [6] - 192:10, 258:20, 261:9, 261:10, 263:2, 263:7</p> <p><b>endangered</b> [8] - 218:10, 218:15, 245:14, 258:11, 259:8, 261:8, 350:22, 351:6</p>	<p><b>endeavors</b> [2] - 115:19, 129:6</p> <p><b>ends</b> [12] - 89:25, 152:13, 152:16, 164:13, 165:12, 165:13, 181:23, 181:25, 195:20, 333:21, 336:11, 340:10</p> <p><b>energy</b> [10] - 8:23, 83:10, 301:7, 309:15, 311:17, 311:20, 311:24, 322:12, 359:10, 361:18</p> <p><b>Energy</b> [7] - 24:23, 155:7, 155:12, 300:1, 301:6, 302:9, 332:14</p> <p><b>energy-type</b> [1] - 83:10</p> <p><b>Enforcement</b> [1] - 9:5</p> <p><b>enforcement</b> [1] - 161:18</p> <p><b>enforcing</b> [1] - 339:22</p> <p><b>engaged</b> [1] - 192:7</p> <p><b>engaged</b> [1] - 192:13</p> <p><b>engine</b> [1] - 346:6</p> <p><b>engineer</b> [6] - 18:13, 18:21, 29:4, 29:18, 48:9, 113:15</p> <p><b>engineering</b> [14] - 18:16, 18:20, 29:6, 29:7, 29:8, 29:13, 29:14, 30:22, 48:11, 48:18, 48:23, 84:5, 113:24, 113:25</p> <p><b>engineers</b> [4] - 149:9, 217:14, 371:23, 382:24</p> <p><b>Engineers</b> [10] - 29:8, 91:25, 92:12, 92:22, 101:19, 102:10, 112:3, 203:17, 219:21, 245:8</p> <p><b>Engineers'</b> [3] - 92:17, 96:2, 101:23</p> <p><b>England</b> [7] - 173:10, 173:12, 305:18, 306:12, 327:8, 332:11, 347:24</p> <p><b>Englander</b> [1] - 306:20</p> <p><b>enhance</b> [1] - 81:2</p> <p><b>enhanced</b> [1] - 63:17</p> <p><b>enhancing</b> [1] - 59:9</p> <p><b>enjoyed</b> [1] - 355:20</p> <p><b>enjoying</b> [1] - 344:22</p> <p><b>enormous</b> [1] - 311:8</p> <p><b>ensure</b> [5] - 12:13,</p>	<p>12:20, 344:14, 346:21, 377:18</p> <p><b>entail</b> [1] - 205:19</p> <p><b>entails</b> [1] - 245:3</p> <p><b>enter</b> [2] - 6:18, 353:20</p> <p><b>entered</b> [1] - 332:18</p> <p><b>entering</b> [4] - 6:25, 213:16, 331:3, 331:21</p> <p><b>enters</b> [1] - 213:15</p> <p><b>entire</b> [16] - 18:18, 19:23, 66:11, 69:18, 74:14, 77:22, 94:7, 114:16, 122:20, 196:17, 213:17, 235:5, 235:8, 252:15, 362:21, 365:17</p> <p><b>entirety</b> [1] - 268:10</p> <p><b>entities</b> [1] - 323:4</p> <p><b>entity</b> [2] - 155:19, 345:3</p> <p><b>envelope</b> [1] - 55:20</p> <p><b>environment</b> [16] - 49:9, 61:3, 70:17, 199:13, 232:12, 241:5, 241:7, 248:3, 251:24, 315:9, 320:22, 323:3, 324:2, 378:2, 378:5, 382:4</p> <p><b>Environmental</b> [9] - 2:1, 2:7, 2:18, 3:17, 9:6, 55:3, 284:9, 285:16, 328:11</p> <p><b>ENVIRONMENTAL</b> [1] - 1:2</p> <p><b>environmental</b> [17] - 9:2, 18:19, 48:11, 91:3, 113:18, 113:20, 127:10, 194:4, 243:3, 304:13, 325:6, 328:13, 344:9, 351:4, 353:25, 354:13, 366:19</p> <p><b>environmentally</b> [9] - 21:21, 115:21, 129:7, 185:19, 304:21, 353:19, 362:1, 363:3, 368:14</p> <p><b>eons</b> [1] - 316:20</p> <p><b>EPA</b> [10] - 126:23, 175:16, 175:23, 176:5, 191:25, 222:15, 351:9, 351:25, 357:8, 378:6</p> <p><b>EPA's</b> [4] - 123:19, 198:4, 198:25, 200:3</p>	<p><b>Epsilon</b> [2] - 8:5, 117:15</p> <p><b>equal</b> [3] - 141:19, 280:23, 281:22</p> <p><b>equally</b> [1] - 344:20</p> <p><b>equals</b> [1] - 280:21</p> <p><b>equating</b> [1] - 322:9</p> <p><b>equation</b> [1] - 308:10</p> <p><b>equipment</b> [14] - 22:20, 62:5, 72:20, 72:25, 73:21, 74:25, 117:22, 117:24, 118:6, 118:13, 196:5, 234:22, 236:6, 237:14</p> <p><b>equivalent</b> [1] - 281:12</p> <p><b>Eric</b> [1] - 8:7</p> <p><b>ericaceous</b> [1] - 106:6</p> <p><b>erode</b> [1] - 85:14</p> <p><b>erosion</b> [6] - 65:4, 83:19, 83:20, 83:22, 124:25</p> <p><b>error</b> [4] - 191:13, 191:16, 191:21, 192:2</p> <p><b>ESA</b> [5] - 192:12, 258:21, 261:3, 261:14, 261:22</p> <p><b>ESAs</b> [1] - 261:17</p> <p><b>escape</b> [1] - 378:1</p> <p><b>escorted</b> [1] - 306:6</p> <p><b>especially</b> [4] - 250:5, 275:12, 304:10, 367:14</p> <p><b>essence</b> [1] - 102:15</p> <p><b>essential</b> [1] - 259:20</p> <p><b>essentially</b> [6] - 9:20, 10:21, 64:21, 116:16, 154:18, 168:22</p> <p><b>establish</b> [6] - 62:14, 157:8, 252:25, 341:22, 344:14, 346:21</p> <p><b>established</b> [9] - 56:25, 62:15, 155:6, 156:16, 168:21, 248:14, 248:24, 248:25, 329:25</p> <p><b>establishes</b> [1] - 346:17</p> <p><b>establishing</b> [2] - 58:4, 61:9</p> <p><b>estimated</b> [5] - 38:16, 129:8, 326:13, 326:20, 327:1</p> <p><b>estimates</b> [2] - 138:2, 254:5</p> <p><b>estimating</b> [1] - 34:18</p>
---	--	--	--	--

<p><b>estimation</b> [1] - 182:2  <b>estuarine</b> [1] - 258:13  <b>et</b> [2] - 132:17, 185:12  <b>etcetera</b> [6] - 105:21, 273:3, 273:5, 346:16, 384:3  <b>Europe</b> [1] - 307:12  <b>Europeans</b> [1] - 306:24  <b>evaluate</b> [9] - 32:11, 157:18, 190:15, 216:8, 217:3, 218:9, 221:18, 232:19, 275:9  <b>evaluated</b> [3] - 86:19, 116:17, 116:21  <b>evaluation</b> [3] - 50:24, 54:24, 126:2  <b>evaporates</b> [1] - 269:19  <b>evening</b> [26] - 5:7, 5:8, 284:3, 284:4, 284:16, 288:18, 301:4, 305:3, 309:10, 314:24, 320:5, 328:10, 332:23, 333:1, 335:5, 335:9, 343:13, 350:16, 358:18, 361:1, 363:12, 364:8, 369:21, 377:5, 378:18, 386:6  <b>EVENING</b> [1] - 284:1  <b>event</b> [17] - 27:6, 41:18, 78:24, 79:6, 79:20, 85:17, 85:18, 88:15, 183:8, 232:3, 271:19, 272:11, 273:6, 275:7, 321:15, 333:13, 333:18  <b>events</b> [8] - 79:23, 260:22, 269:21, 271:3, 271:18, 272:19, 273:8, 274:24  <b>eventually</b> [3] - 85:15, 260:24, 357:23  <b>ever-expanding</b> [1] - 347:4  <b>everyday</b> [1] - 371:11  <b>evidence</b> [18] - 4:4, 6:6, 20:1, 21:3, 28:13, 179:18, 179:19, 179:23, 180:5, 180:11, 182:9, 225:13, 261:16, 273:10, 277:17, 329:15,</p>	<p>330:9, 330:16  <b>evidenced</b> [1] - 24:19  <b>evolution</b> [1] - 168:1  <b>evolved</b> [2] - 253:23, 334:8  <b>evolving</b> [1] - 155:23  <b>exact</b> [6] - 18:10, 133:10, 171:6, 171:8, 187:6, 237:20  <b>exactly</b> [13] - 17:17, 38:7, 141:2, 166:20, 169:1, 218:1, 223:10, 225:1, 288:8, 325:5, 369:15, 376:9, 378:12  <b>examination</b> [9] - 4:9, 4:24, 5:16, 130:2, 130:7, 130:9, 276:1, 277:15, 282:12  <b>examine</b> [4] - 31:25, 32:5, 32:17, 265:23  <b>example</b> [20] - 33:20, 33:21, 55:14, 98:21, 133:17, 133:25, 135:18, 185:17, 195:18, 196:16, 223:25, 224:19, 256:1, 258:8, 258:15, 262:15, 268:21, 271:20, 272:12, 273:2  <b>examples</b> [2] - 106:18, 327:23  <b>excavations</b> [1] - 31:25  <b>exceed</b> [3] - 55:13, 55:24, 86:18  <b>exceeded</b> [2] - 234:12, 269:25  <b>exceeds</b> [2] - 90:9, 108:8  <b>excellent</b> [3] - 52:16, 90:15, 149:10  <b>except</b> [2] - 6:7, 228:3  <b>excess</b> [2] - 27:8, 214:1  <b>exchange</b> [1] - 192:11  <b>exchanges</b> [1] - 316:15  <b>exciting</b> [1] - 242:12  <b>excluded</b> [1] - 130:23  <b>exclusive</b> [3] - 11:2, 133:13, 374:8  <b>excrete</b> [1] - 316:20  <b>excuse</b> [7] - 43:10, 93:1, 96:13, 106:13, 121:7, 295:22, 357:19  <b>Excuse</b> [7] - 144:21,</p>	<p>174:18, 233:22, 236:9, 255:15, 277:13, 345:22  <b>executive</b> [2] - 3:5, 284:25  <b>Executive</b> [1] - 1:19  <b>exercise</b> [1] - 56:15  <b>Exeter</b> [1] - 302:8  <b>exhibit</b> [4] - 273:21, 273:23, 273:24, 274:2  <b>Exhibit</b> [15] - 9:10, 12:10, 18:25, 29:19, 31:6, 48:24, 91:15, 100:23, 104:14, 107:13, 114:2, 119:23, 128:18, 152:10, 243:8  <b>exhibits</b> [1] - 166:1  <b>exist</b> [6] - 43:6, 43:8, 184:22, 226:16, 262:15, 303:6  <b>existed</b> [1] - 191:14  <b>existence</b> [1] - 225:24  <b>existing</b> [40] - 31:8, 31:10, 50:5, 52:12, 64:1, 64:2, 70:6, 74:9, 81:17, 83:6, 83:11, 84:17, 84:23, 87:22, 93:24, 101:14, 115:23, 116:2, 118:25, 119:11, 129:9, 129:11, 138:12, 171:10, 208:4, 214:20, 231:21, 232:24, 235:3, 236:7, 289:16, 306:3, 330:9, 331:1, 345:4, 347:8, 347:13, 347:14, 351:4, 353:15  <b>exists</b> [3] - 180:6, 191:18, 279:22  <b>exit</b> [1] - 194:16  <b>expand</b> [11] - 84:16, 88:6, 267:22, 308:11, 309:5, 310:17, 348:2, 348:9, 349:7, 350:3, 350:4  <b>expanded</b> [6] - 16:7, 268:13, 276:23, 335:20, 345:5, 361:15  <b>expanding</b> [6] - 98:24, 325:4, 347:4, 348:21, 349:2, 365:3  <b>EXPANSION</b> [1] - 1:6  <b>Expansion</b> [5] - 6:24,</p>	<p>7:14, 21:13, 51:5, 51:7  <b>expansion</b> [185] - 2:9, 7:19, 10:7, 13:22, 15:16, 16:4, 29:21, 30:9, 30:11, 31:8, 31:19, 31:22, 32:14, 35:1, 38:11, 49:1, 49:4, 49:5, 49:11, 49:15, 49:24, 50:11, 52:12, 52:18, 54:11, 55:13, 61:19, 63:23, 81:17, 83:13, 83:20, 85:23, 88:8, 88:10, 88:17, 90:8, 90:14, 92:12, 93:10, 93:11, 93:22, 93:23, 93:25, 94:3, 94:6, 94:16, 95:1, 95:4, 95:8, 96:12, 100:7, 103:25, 105:6, 107:11, 107:14, 108:4, 109:21, 114:4, 114:25, 115:2, 115:7, 115:15, 115:22, 116:7, 117:13, 117:17, 119:1, 119:8, 123:5, 125:13, 129:5, 129:10, 129:12, 129:15, 129:17, 131:6, 132:9, 138:3, 141:19, 147:13, 147:20, 148:9, 148:12, 153:14, 156:14, 157:7, 171:11, 172:1, 172:6, 186:5, 193:11, 193:24, 204:14, 205:7, 219:3, 219:5, 219:9, 226:2, 227:15, 229:25, 232:4, 232:14, 232:16, 235:1, 235:3, 247:3, 251:11, 251:22, 258:17, 258:18, 263:13, 266:14, 268:6, 269:10, 273:4, 279:7, 279:8, 284:11, 286:21, 286:23, 288:22, 288:25, 289:21, 290:2, 290:6, 290:20, 290:25, 291:1, 291:3, 291:21, 293:13, 300:14, 301:13, 307:15, 307:23, 307:24, 311:4,</p>	<p>315:18, 318:25, 324:22, 325:8, 325:25, 326:15, 328:16, 328:18, 330:10, 330:16, 330:23, 331:8, 331:12, 333:4, 334:25, 336:23, 337:1, 337:8, 338:10, 339:20, 341:11, 341:12, 342:2, 342:8, 343:14, 343:18, 343:24, 347:11, 348:5, 348:7, 349:4, 350:6, 350:25, 353:16, 354:11, 358:20, 359:16, 362:8, 362:13, 362:23, 363:1, 363:4, 366:8, 368:16, 369:4, 378:13, 378:20, 379:21  <b>expect</b> [7] - 41:12, 56:20, 110:4, 145:4, 158:12, 213:7, 214:4  <b>expected</b> [4] - 116:19, 234:25, 271:21, 381:12  <b>expense</b> [1] - 191:15  <b>experience</b> [19] - 29:5, 48:11, 54:11, 54:18, 54:20, 54:23, 57:3, 67:14, 79:22, 83:15, 90:16, 90:17, 173:11, 217:8, 307:11, 308:11, 333:7, 354:3, 376:19  <b>experienced</b> [3] - 273:9, 326:10, 378:9  <b>expert</b> [3] - 277:11, 320:10, 356:9  <b>expertise</b> [1] - 252:3  <b>experts</b> [2] - 7:25, 83:1  <b>explain</b> [7] - 101:7, 179:15, 188:25, 236:22, 241:25, 243:16, 247:17  <b>explained</b> [2] - 47:18, 202:20  <b>explaining</b> [1] - 331:12  <b>explanation</b> [2] - 202:9, 342:15  <b>explicitly</b> [1] - 281:5  <b>exploitation</b> [1] - 267:17  <b>exploration</b> [1] - 227:2</p>
---	--	---	---	--

<p><b>explorations</b> [6] - 31:16, 31:20, 31:23, 225:23, 226:1, 227:4</p> <p><b>explored</b> [1] - 28:6</p> <p><b>exponentially</b> [1] - 337:19</p> <p><b>export</b> [1] - 96:22</p> <p><b>exposed</b> [2] - 352:6, 363:15</p> <p><b>exposure</b> [4] - 248:13, 248:18, 265:1, 353:24</p> <p><b>expressed</b> [1] - 326:5</p> <p><b>extend</b> [3] - 180:18, 328:23, 331:1</p> <p><b>extended</b> [1] - 359:5</p> <p><b>extends</b> [1] - 257:12</p> <p><b>extensive</b> [6] - 51:15, 61:25, 84:25, 240:23, 353:10, 377:25</p> <p><b>extent</b> [20] - 12:19, 20:9, 20:18, 21:25, 22:12, 26:2, 26:13, 28:9, 98:1, 113:8, 153:25, 154:6, 154:12, 156:25, 157:14, 157:24, 158:18, 185:14, 212:19, 300:12</p> <p><b>extinct</b> [1] - 266:3</p> <p><b>extinction</b> [2] - 255:23, 257:7</p> <p><b>extinguish</b> [1] - 194:17</p> <p><b>extra</b> [4] - 79:12, 80:13, 98:5, 210:24</p> <p><b>extracted</b> [1] - 119:8</p> <p><b>extraction</b> [6] - 82:4, 82:5, 82:18, 207:19, 207:22, 229:2</p> <p><b>extrapolated</b> [2] - 142:8, 172:21</p> <p><b>extreme</b> [8] - 269:20, 271:2, 271:17, 272:19, 273:11, 274:18, 274:24</p> <p><b>extremely</b> [8] - 39:14, 113:2, 123:6, 127:7, 129:5, 215:3, 298:17, 345:15</p> <p><b>eye</b> [3] - 75:2, 323:13, 364:16</p> <p><b>eyes</b> [1] - 266:20</p>	<p><b>face</b> [1] - 122:8</p> <p><b>facilitate</b> [3] - 20:6, 22:8, 215:20</p> <p><b>facilitated</b> [1] - 24:5</p> <p><b>facilities</b> [52] - 11:16, 22:20, 23:10, 23:19, 24:19, 51:10, 57:5, 78:18, 87:12, 135:15, 135:20, 140:4, 140:6, 140:9, 143:6, 147:23, 151:8, 152:16, 153:23, 154:5, 155:10, 156:3, 157:11, 157:16, 157:20, 158:5, 161:5, 161:15, 162:24, 163:14, 163:21, 164:7, 173:12, 174:6, 176:1, 176:12, 176:16, 176:22, 176:23, 177:15, 177:17, 268:13, 293:17, 294:14, 296:3, 299:25, 317:20, 359:21, 374:4, 375:15, 379:18</p> <p><b>facilities'</b> [1] - 158:3</p> <p><b>facility</b> [152] - 10:16, 10:23, 11:24, 13:8, 15:10, 15:11, 20:15, 21:5, 23:2, 23:3, 25:23, 26:1, 26:8, 26:19, 27:5, 50:6, 50:23, 51:8, 51:9, 52:7, 53:2, 53:3, 54:17, 55:23, 56:19, 58:13, 58:17, 61:13, 61:16, 64:11, 77:22, 80:3, 81:17, 81:19, 82:2, 82:7, 82:9, 82:19, 83:8, 83:25, 86:5, 87:8, 87:11, 87:16, 88:1, 88:7, 88:11, 94:8, 114:10, 114:11, 114:19, 115:6, 118:25, 119:11, 119:24, 121:3, 121:4, 122:14, 126:7, 127:20, 128:9, 128:13, 139:12, 146:13, 146:24, 150:21, 151:9, 155:17, 157:14, 159:20, 160:11, 161:3, 162:9, 162:18, 162:19,</p>	<p>164:10, 164:13, 164:15, 165:2, 165:7, 166:24, 167:6, 167:7, 167:9, 169:6, 172:17, 174:1, 175:10, 175:13, 185:18, 186:8, 186:16, 186:23, 190:3, 195:23, 196:7, 197:8, 212:16, 212:21, 225:13, 227:22, 243:20, 244:2, 288:24, 289:9, 290:10, 294:1, 294:4, 294:16, 294:18, 295:19, 295:21, 295:25, 296:2, 297:3, 297:8, 301:7, 303:3, 303:9, 304:1, 304:4, 304:7, 304:11, 304:16, 312:25, 313:20, 320:13, 329:8, 329:9, 329:14, 329:16, 330:18, 332:14, 337:21, 358:21, 359:22, 360:10, 360:11, 360:12, 361:8, 361:18, 362:3, 362:7, 373:1, 373:20, 374:20, 374:22, 374:24, 377:17, 378:5</p> <p><b>Facility</b> [1] - 146:14</p> <p><b>facility's</b> [2] - 20:17, 163:12</p> <p><b>facings</b> [1] - 238:4</p> <p><b>fact</b> [22] - 35:22, 41:21, 79:23, 110:11, 128:12, 138:19, 138:23, 153:21, 156:15, 190:18, 200:2, 205:8, 214:3, 277:2, 277:3, 300:9, 301:24, 302:7, 330:7, 330:16, 338:4, 369:12</p> <p><b>factor</b> [5] - 86:8, 182:18, 188:22, 189:8, 229:10</p> <p><b>factors</b> [4] - 86:15, 86:18, 189:16, 326:22</p> <p><b>factory</b> [1] - 215:2</p> <p><b>fail</b> [1] - 86:4</p> <p><b>failed</b> [2] - 334:4,</p>	<p>336:20</p> <p><b>failing</b> [1] - 191:17</p> <p><b>failure</b> [6] - 80:9, 260:21, 268:11, 275:2, 330:15, 378:3</p> <p><b>failures</b> [1] - 215:12</p> <p><b>fair</b> [2] - 280:24, 293:24</p> <p><b>fairly</b> [6] - 34:19, 61:24, 61:25, 84:24, 287:24, 292:5</p> <p><b>fall</b> [7] - 78:20, 146:3, 252:22, 303:8, 308:2, 370:21, 373:23</p> <p><b>falls</b> [3] - 87:22, 340:3, 352:19</p> <p><b>Falmouth</b> [1] - 345:14</p> <p><b>false</b> [3] - 322:24, 335:22, 339:16</p> <p><b>familiar</b> [7] - 48:19, 175:15, 175:19, 189:24, 190:4, 194:23, 333:9</p> <p><b>families</b> [1] - 378:9</p> <p><b>family</b> [5] - 361:10, 361:22, 362:2, 371:11, 377:14</p> <p><b>fancy</b> [1] - 319:25</p> <p><b>fantastic</b> [1] - 369:18</p> <p><b>far</b> [33] - 16:1, 23:11, 40:5, 41:15, 47:25, 62:8, 145:19, 157:20, 181:10, 201:17, 206:21, 206:24, 207:7, 207:18, 237:11, 237:21, 238:12, 244:13, 249:3, 249:19, 251:18, 254:2, 271:15, 276:14, 284:25, 288:14, 292:8, 320:9, 320:21, 324:11, 333:25, 334:4, 370:12</p> <p><b>far-off</b> [1] - 324:11</p> <p><b>farm</b> [1] - 165:5</p> <p><b>Farmington</b> [2] - 2:21, 284:17</p> <p><b>farms</b> [1] - 353:4</p> <p><b>FARRAR</b> [16] - 233:15, 233:24, 234:7, 234:10, 234:23, 235:15, 235:20, 236:4, 236:12, 237:19, 238:14, 239:13, 240:3, 241:9, 241:14, 241:21</p>	<p><b>Farrar</b> [3] - 1:23, 3:9, 285:3</p> <p><b>fashion</b> [2] - 180:10, 238:7</p> <p><b>fashions</b> [1] - 165:13</p> <p><b>fast</b> [2] - 304:12, 326:9</p> <p><b>faster</b> [4] - 22:25, 229:14, 254:16, 269:16</p> <p><b>father</b> [1] - 365:24</p> <p><b>fault</b> [1] - 57:14</p> <p><b>favor</b> [8] - 194:10, 287:15, 287:16, 320:14, 345:3, 363:18, 372:2, 378:19</p> <p><b>favorable</b> [2] - 202:16, 202:18</p> <p><b>FDA</b> [1] - 382:11</p> <p><b>fear</b> [1] - 333:14</p> <p><b>feasible</b> [5] - 15:13, 15:14, 174:9, 184:22, 379:13</p> <p><b>feature</b> [7] - 43:20, 45:12, 46:17, 54:5, 107:8, 183:3, 183:5</p> <p><b>features</b> [7] - 39:18, 39:23, 42:21, 63:5, 65:4, 95:23, 353:12</p> <p><b>fed</b> [1] - 30:22</p> <p><b>federal</b> [2] - 261:14, 261:22</p> <p><b>Federal</b> [3] - 192:9, 263:2, 263:7</p> <p><b>federally</b> [6] - 193:5, 252:8, 257:11, 257:17, 262:24, 351:7</p> <p><b>federally-designated</b> [1] - 257:11</p> <p><b>federally-listed</b> [1] - 262:24</p> <p><b>federally-protected</b> [2] - 257:17, 351:7</p> <p><b>fee</b> [2] - 159:12, 159:15</p> <p><b>feeds</b> [1] - 37:15</p> <p><b>fees</b> [10] - 11:4, 134:13, 137:19, 137:24, 138:8, 159:4, 159:6, 368:1, 379:22, 380:21</p> <p><b>feet</b> [39] - 32:16, 38:18, 38:25, 41:16, 55:14, 55:16, 57:25, 58:3, 58:7, 63:15, 66:1, 72:2, 72:21, 86:24, 87:20, 100:25, 103:7, 105:13, 110:13,</p>
<b>F</b>				
<p><b>fabric</b> [3] - 72:13, 173:18, 174:8</p> <p><b>fabulous</b> [1] - 47:1</p>				

110:15, 110:18, 110:20, 110:24, 111:3, 111:4, 111:16, 112:5, 112:9, 112:15, 116:23, 117:23, 118:2, 187:24, 188:7, 190:9, 234:3, 237:24, 318:14 <b>fellow</b> [1] - 370:2 <b>felt</b> [8] - 43:16, 88:2, 206:23, 207:8, 207:18, 226:14, 249:1, 381:2 <b>FEMA</b> [3] - 87:10, 87:15, 274:7 <b>fertilize</b> [1] - 252:23 <b>fertilizer</b> [1] - 165:4 <b>few</b> [21] - 11:14, 14:19, 40:19, 74:14, 228:9, 229:18, 252:18, 253:13, 258:24, 259:25, 266:7, 268:21, 288:2, 302:1, 303:5, 306:15, 310:17, 323:7, 337:23, 340:17, 361:5 <b>fewer</b> [2] - 37:6, 304:12 <b>fiber</b> [2] - 23:9, 26:4 <b>Fiberight</b> [2] - 166:1, 166:3 <b>fiberoptic</b> [1] - 122:19 <b>field</b> [16] - 33:11, 97:12, 98:4, 98:5, 111:2, 123:18, 165:5, 183:16, 218:15, 221:8, 245:18, 246:1, 247:5, 298:24, 372:22 <b>field-based</b> [1] - 245:18 <b>fifties</b> [1] - 382:10 <b>fifty</b> [3] - 383:2, 383:3, 383:12 <b>figure</b> [19] - 31:5, 31:7, 31:16, 43:21, 44:19, 87:12, 95:5, 99:18, 100:22, 103:6, 103:15, 104:12, 110:14, 110:23, 237:3, 238:22, 243:10, 270:4, 315:22 <b>figured</b> [1] - 360:8 <b>figures</b> [2] - 234:24, 235:2 <b>file</b> [8] - 4:18, 6:19, 6:25, 7:1, 128:16, 223:15, 286:12, 286:14 <b>filed</b> [18] - 2:11, 4:13, 4:16, 4:20, 8:3, 234:23, 252:7, 254:24, 261:5, 261:20, 261:22, 262:5, 264:4, 271:14, 276:20, 286:10, 286:15, 286:18 <b>files</b> [1] - 286:16 <b>fill</b> [7] - 99:14, 299:2, 314:7, 326:8, 328:22, 331:22, 349:18 <b>filled</b> [10] - 74:11, 77:14, 99:9, 99:19, 99:22, 119:23, 123:8, 127:2, 368:4, 368:13 <b>filling</b> [4] - 219:11, 304:12, 322:3, 384:21 <b>filtered</b> [1] - 317:13 <b>filters</b> [1] - 66:7 <b>final</b> [12] - 64:1, 64:23, 82:3, 84:11, 89:23, 103:22, 113:13, 123:9, 123:10, 203:14, 252:18, 337:7 <b>finalize</b> [2] - 102:2, 222:20 <b>finally</b> [8] - 19:23, 23:18, 30:24, 50:2, 54:10, 109:3, 112:10, 162:22 <b>finances</b> [1] - 320:15 <b>financial</b> [3] - 303:21, 322:9, 380:6 <b>Financial</b> [1] - 12:4 <b>findings</b> [4] - 153:21, 157:5, 218:16, 337:9 <b>fine</b> [6] - 56:24, 151:23, 158:10, 158:12, 218:4 <b>finer</b> [11] - 25:22, 26:3, 122:2, 126:15, 152:14, 152:16, 159:17, 167:6, 296:11, 296:14 <b>finesse</b> [1] - 73:25 <b>fingerprint</b> [3] - 233:3, 233:4, 233:10 <b>finish</b> [3] - 28:25, 44:15, 174:19 <b>finished</b> [1] - 249:12 <b>finite</b> [1] - 16:13 <b>fire</b> [3] - 194:13, 194:18, 240:9 <b>firefighters</b> [2] - 194:17, 195:8 <b>fires</b> [1] - 240:6 <b>firm</b> [2] - 3:12, 29:8 <b>firmed</b> [1] - 337:11 <b>First</b> [1] - 46:25 <b>first</b> [83] - 7:8, 7:9, 8:14, 8:17, 8:18, 30:15, 36:24, 53:1, 53:11, 53:21, 55:6, 58:21, 61:17, 61:18, 63:23, 64:25, 66:2, 68:21, 72:5, 75:20, 77:7, 78:7, 78:8, 81:19, 83:21, 88:3, 109:6, 114:24, 120:18, 120:25, 123:3, 126:23, 126:25, 127:2, 130:6, 130:8, 130:20, 138:16, 168:9, 177:6, 179:6, 179:18, 180:22, 189:12, 190:19, 199:8, 199:10, 204:10, 210:11, 210:15, 221:16, 234:13, 234:17, 241:15, 252:3, 252:8, 253:14, 257:2, 258:4, 260:1, 266:24, 267:4, 269:10, 269:13, 274:9, 278:23, 287:22, 292:24, 293:4, 293:10, 302:14, 314:18, 315:3, 319:20, 319:23, 328:21, 341:10, 342:9, 343:1, 344:5, 358:23, 361:6, 385:4 <b>firsthand</b> [1] - 300:6 <b>Fish</b> [4] - 192:8, 192:14, 261:4, 262:11 <b>fish</b> [31] - 112:8, 252:9, 254:2, 258:3, 258:7, 262:9, 262:16, 262:18, 263:24, 265:1, 266:4, 266:5, 266:8, 266:10, 267:10, 275:10, 275:11, 275:16, 315:6, 316:9, 318:19, 318:22, 319:18, 319:19, 345:19, 346:15, 346:19, 351:17, 351:21, 352:5 <b>fish-eating</b> [1] - 267:10 <b>fisheries</b> [10] - 8:9, 109:20, 109:24, 192:20, 250:15, 250:19, 254:13, 255:12, 258:14, 321:19 <b>Fisheries</b> [6] - 94:14, 109:9, 109:12, 109:17, 256:6, 259:12 <b>fishery</b> [1] - 109:18 <b>fishes</b> [1] - 252:11 <b>fishing</b> [6] - 315:14, 345:18, 345:21, 346:24, 347:9, 366:3 <b>fit</b> [2] - 19:24, 222:5 <b>fits</b> [1] - 47:11 <b>five</b> [28] - 35:24, 57:24, 58:3, 58:7, 65:15, 65:17, 66:1, 90:20, 99:6, 148:18, 154:18, 172:3, 178:22, 190:9, 191:10, 205:22, 254:7, 288:5, 292:7, 318:6, 326:24, 331:13, 340:21, 357:7, 357:18, 357:20, 357:21, 374:6 <b>five-foot</b> [1] - 65:15 <b>five-minute</b> [4] - 90:20, 178:22, 288:5, 292:7 <b>Flagg</b> [4] - 293:6, 297:19, 298:8, 298:11 <b>FLAGG</b> [1] - 298:11 <b>flare</b> [4] - 83:9, 119:13, 124:13, 198:16 <b>flat</b> [1] - 189:4 <b>flies</b> [1] - 381:9 <b>flood</b> [9] - 87:10, 87:24, 88:1, 96:22, 245:10, 271:20, 272:21, 273:8, 353:8 <b>flooded</b> [1] - 353:4 <b>flooding</b> [3] - 272:19, 274:12, 274:18 <b>floodplain</b> [11] - 87:7, 87:14, 87:15, 87:18, 87:22, 88:7, 273:4, 273:14, 274:19, 274:20, 353:2 <b>floodplains</b> [4] - 87:8, 93:19, 274:13, 275:3 <b>floor</b> [16] - 80:24, 164:4, 204:4, 209:22, 293:8, 299:21, 299:22, 299:23, 301:3, 318:7, 320:4, 325:11, 340:24, 350:14, 365:12, 375:8 <b>flow</b> [43] - 33:21, 33:22, 39:13, 39:19, 58:21, 77:18, 83:7, 84:20, 85:18, 85:19, 96:22, 105:20, 181:5, 189:10, 189:12, 189:13, 189:14, 189:15, 208:25, 209:2, 209:5, 209:8, 209:12, 209:13, 213:5, 213:10, 229:21, 229:23, 230:1, 230:4, 230:6, 232:9, 245:10, 275:19, 277:24, 278:23, 279:1, 279:7, 279:10, 279:14, 279:15, 279:19, 323:20 <b>flowages</b> [1] - 105:7 <b>flowing</b> [3] - 189:18, 253:15, 259:24 <b>flows</b> [12] - 81:13, 84:21, 85:2, 85:3, 85:13, 123:17, 181:16, 181:17, 181:18, 235:17, 263:13, 279:18 <b>fluctuations</b> [1] - 373:22 <b>fluorescent</b> [3] - 194:20, 195:5, 195:10 <b>flushed</b> [1] - 374:1 <b>flying</b> [1] - 383:10 <b>focus</b> [8] - 19:25, 21:1, 48:13, 49:3, 97:17, 250:18, 287:9, 369:23 <b>focused</b> [4] - 37:11, 38:11, 40:23, 251:1 <b>focusing</b> [1] - 30:9 <b>fold</b> [1] - 123:11 <b>folks</b> [11] - 294:7, 295:8, 295:17, 363:24, 364:3, 364:5, 364:16, 364:19, 365:4,
--

<p>371:21, 385:14  <b>follow</b> [9] - 64:6,  123:21, 156:5,  156:9, 169:7, 175:7,  206:16, 349:15,  358:4  <b>follow-up</b> [2] - 123:21,  175:7  <b>followed</b> [11] - 4:23,  145:10, 145:11,  182:10, 197:18,  324:5, 340:20,  347:20, 355:7,  358:16, 360:21  <b>following</b> [16] - 2:11,  14:24, 226:22,  287:3, 305:2,  308:19, 312:19,  313:24, 314:19,  318:3, 320:2, 328:8,  335:3, 351:10,  359:20, 369:7  <b>follows</b> [3] - 38:1,  40:7, 179:25  <b>followup</b> [2] - 15:23,  152:8  <b>food</b> [3] - 302:17,  338:25, 339:3  <b>foot</b> [13] - 55:16,  64:15, 65:15, 66:3,  68:13, 69:18, 69:21,  70:13, 71:22, 81:22,  111:23, 111:25,  112:6  <b>footnote</b> [2] - 168:15,  168:20  <b>footprint</b> [16] - 31:22,  42:19, 43:3, 43:12,  44:9, 50:4, 50:7,  55:9, 98:14, 98:15,  115:2, 231:21,  289:17, 290:3, 351:2  <b>FOR</b> [1] - 1:5  <b>forbid</b> [1] - 333:16  <b>force</b> [6] - 61:2, 78:3,  78:4, 86:2, 142:23,  317:7  <b>forced</b> [1] - 372:20  <b>foremost</b> [2] - 109:6,  252:3  <b>Foreside</b> [1] - 345:14  <b>forested</b> [9] - 93:12,  97:4, 99:6, 100:21,  105:8, 106:14,  193:3, 246:5, 246:8  <b>forests</b> [1] - 253:21  <b>forever</b> [4] - 214:5,  324:20, 333:24,  352:23  <b>forget</b> [1] - 382:13</p>	<p><b>forgot</b> [2] - 298:1,  304:25  <b>form</b> [10] - 25:2,  101:11, 101:18,  119:22, 221:16,  281:6, 281:15,  303:7, 311:20, 351:3  <b>formal</b> [5] - 192:8,  192:12, 192:14,  192:17, 261:2  <b>format</b> [1] - 131:21  <b>formations</b> [2] -  33:24, 42:24  <b>former</b> [2] - 268:23,  293:20  <b>forms</b> [2] - 127:1,  263:24  <b>Fort</b> [2] - 114:17,  351:14  <b>forth</b> [12] - 19:6,  33:16, 97:25, 98:3,  98:9, 127:5, 179:20,  228:18, 239:20,  316:17, 351:25,  379:25  <b>fortunate</b> [3] - 73:23,  74:2, 365:24  <b>fortunately</b> [1] - 303:4  <b>Forty</b> [2] - 357:18,  357:21  <b>forty</b> [1] - 357:20  <b>Forty-five</b> [2] - 357:18,  357:21  <b>forty-five</b> [1] - 357:20  <b>forward</b> [9] - 172:22,  235:16, 296:17,  312:19, 318:19,  339:6, 348:24,  350:7, 385:16  <b>forwarded</b> [1] - 109:10  <b>foundation</b> [8] -  30:21, 46:15, 86:17,  163:10, 303:12,  303:13, 344:11,  362:20  <b>four</b> [17] - 50:21,  53:11, 81:1, 107:15,  125:18, 179:18,  204:3, 225:14,  238:15, 238:20,  253:4, 260:3, 289:2,  293:16, 334:17,  345:18, 361:11  <b>four-by-eight</b> [1] -  81:1  <b>fourth</b> [1] - 180:10  <b>fracture</b> [3] - 38:5,  38:14, 39:15  <b>fractured</b> [1] - 47:12  <b>fractures</b> [10] - 32:23,</p>	<p>36:14, 36:17, 36:20,  36:25, 37:4, 37:8,  39:8, 179:21, 180:12  <b>fracturing</b> [2] - 41:2,  47:11  <b>frame</b> [1] - 173:18  <b>free</b> [9] - 79:11,  138:17, 253:15,  289:6, 293:25,  311:16, 311:19,  344:19, 344:20  <b>free-flowing</b> [1] -  253:15  <b>Frenchboro</b> [1] -  313:4  <b>frequency</b> [5] -  208:12, 271:2,  272:21, 274:22,  274:25  <b>freshwater</b> [5] -  250:15, 250:19,  257:9, 258:10,  258:13  <b>friend</b> [1] - 350:23  <b>friends</b> [3] - 350:18,  352:17, 355:18  <b>frog</b> [1] - 107:5  <b>frogs</b> [2] - 107:15,  218:25  <b>Front</b> [1] - 25:3  <b>front</b> [10] - 7:3, 25:3,  126:13, 135:18,  200:25, 202:3,  236:19, 265:12,  265:21, 269:13  <b>front-end</b> [2] - 25:3,  135:18  <b>Front-end</b> [1] - 25:3  <b>fruition</b> [1] - 321:24  <b>frustrated</b> [1] - 335:23  <b>fuel</b> [9] - 25:15,  151:12, 151:18,  157:13, 176:1,  240:11, 240:14,  305:21  <b>fuels</b> [1] - 176:8  <b>full</b> [9] - 132:7, 205:25,  216:20, 244:7,  274:8, 313:6,  321:13, 341:16,  373:21  <b>full-blown</b> [1] - 244:7  <b>full-time</b> [1] - 216:20  <b>Fuller</b> [3] - 340:20,  343:11, 343:15  <b>FULLER</b> [3] - 343:12,  345:24, 347:2  <b>fullest</b> [1] - 300:12  <b>fully</b> [3] - 41:24,  176:17, 177:3</p>	<p><b>function</b> [15] - 95:25,  96:15, 96:19,  105:16, 169:9,  184:8, 184:16,  218:7, 218:13,  218:19, 246:20,  246:22, 246:23,  246:25, 247:20  <b>functional</b> [1] - 245:12  <b>functioning</b> [8] -  94:23, 97:2, 104:2,  106:25, 107:3,  253:20, 279:19,  279:20  <b>functions</b> [20] - 91:9,  96:6, 96:9, 96:10,  96:13, 96:19, 96:23,  97:11, 101:16,  105:15, 105:19,  106:1, 168:13,  218:9, 220:10,  245:2, 245:5, 245:9,  245:25, 246:9  <b>Fund</b> [1] - 159:8  <b>fund</b> [3] - 10:22,  149:23, 324:18  <b>fundamental</b> [1] -  260:2  <b>furniture</b> [1] - 313:11  <b>future</b> [26] - 43:8,  83:10, 108:3, 116:1,  126:8, 146:20,  171:8, 219:15,  227:15, 230:9,  231:13, 232:13,  272:18, 273:7,  273:11, 274:18,  274:20, 302:5,  304:20, 313:18,  339:14, 343:6,  343:7, 346:10,  347:10, 385:8</p>	<p><b>garden</b> [3] - 333:9,  373:8, 384:7  <b>gas</b> [51] - 8:8, 81:16,  81:18, 82:3, 82:6,  82:8, 82:14, 82:18,  82:20, 82:21, 82:23,  82:25, 83:1, 83:2,  83:3, 83:7, 83:8,  83:9, 83:12, 83:17,  118:22, 119:8,  120:23, 123:1,  123:2, 123:5, 123:6,  123:9, 123:12,  123:17, 123:18,  124:9, 124:11,  124:17, 126:12,  187:16, 198:6,  198:14, 199:22,  199:23, 199:24,  240:24, 241:1,  242:19, 311:16,  333:5, 333:7,  333:17, 335:19,  361:18  <b>Gas</b> [1] - 300:1  <b>gas-to-energy</b> [1] -  361:18  <b>gases</b> [4] - 144:17,  197:22, 199:18,  377:22  <b>gassed</b> [2] - 333:5,  384:7  <b>gather</b> [2] - 189:7,  284:8  <b>gauge</b> [1] - 239:10  <b>GCL</b> [5] - 67:22,  70:12, 73:4, 73:16,  210:24  <b>geared</b> [1] - 150:21  <b>Geisser</b> [3] - 293:4,  293:13, 340:4  <b>GEISSER</b> [3] - 293:7,  293:10, 297:18  <b>GENERAL</b> [1] - 1:5  <b>general</b> [25] - 3:3, 5:7,  10:22, 38:2, 39:21,  128:5, 149:23,  167:15, 173:8,  212:17, 217:24,  243:12, 250:17,  250:20, 250:21,  250:24, 252:11,  256:22, 264:10,  284:22, 288:23,  290:9, 318:24,  361:18, 367:12  <b>General</b> [15] - 1:19,  2:8, 2:11, 4:4, 7:19,  7:20, 7:21, 12:5,  114:9, 132:20,</p>
<b>G</b>				
<p><b>gained</b> [1] - 83:15  <b>gallon</b> [3] - 205:22,  280:1, 280:2  <b>gallons</b> [11] - 80:3,  80:4, 194:15,  194:18, 277:4,  279:3, 279:5, 279:9,  279:11, 279:23,  323:19  <b>game</b> [2] - 326:24,  367:21  <b>gaps</b> [2] - 251:15  <b>garbage</b> [4] - 136:19,  137:8, 201:23,  348:10</p>				

244:19, 284:10, 286:4, 286:18, 289:14 <b>generally</b> [10] - 5:15, 37:18, 38:17, 57:23, 111:24, 181:5, 181:14, 268:14, 269:16, 356:20 <b>generate</b> [8] - 39:18, 83:7, 157:11, 223:15, 307:16, 311:16, 379:2, 380:19 <b>generated</b> [18] - 12:25, 81:18, 82:8, 83:13, 128:22, 160:15, 185:4, 232:16, 235:9, 241:1, 241:2, 297:6, 325:17, 327:11, 327:20, 332:5, 332:6, 347:14 <b>generates</b> [1] - 308:7 <b>generating</b> [1] - 161:24 <b>generation</b> [14] - 19:19, 24:1, 64:10, 78:25, 83:17, 119:20, 122:17, 123:5, 123:15, 138:12, 163:12, 173:19, 294:10, 373:20 <b>generations</b> [1] - 346:11 <b>generator</b> [14] - 12:25, 27:10, 127:3, 128:7, 143:10, 155:14, 159:22, 166:13, 175:12, 205:18, 206:4, 222:9, 302:25, 334:6 <b>Generator</b> [1] - 221:5 <b>generator-owned</b> [1] - 334:6 <b>generators</b> [10] - 22:11, 22:17, 26:16, 80:10, 141:3, 176:15, 177:4, 202:3, 373:12, 373:13 <b>gentleman</b> [3] - 311:2, 311:14, 370:25 <b>geocomposite</b> [3] - 66:4, 73:19, 75:7 <b>geographic</b> [2] - 262:15, 275:12 <b>geologic</b> [4] - 29:23, 39:17, 59:25, 60:2 <b>geologist</b> [1] - 29:4	<b>geology</b> [8] - 30:10, 32:5, 32:6, 35:4, 47:2, 47:12, 56:4, 180:12 <b>geomembrane</b> [7] - 66:22, 72:18, 73:6, 73:16, 74:16, 210:21, 235:22 <b>geophysical</b> [4] - 33:1, 33:4, 33:5 <b>George</b> [1] - 327:18 <b>Georgia</b> [6] - 10:9, 10:16, 356:5, 356:7, 356:10, 356:14 <b>Georgia-Pacific</b> [6] - 10:9, 10:16, 356:5, 356:7, 356:10, 356:14 <b>geosynthetic</b> [1] - 67:2 <b>geotechnical</b> [4] - 29:6, 29:14, 33:13, 113:25 <b>gesturing</b> [1] - 237:3 <b>giant</b> [1] - 124:21 <b>Girl</b> [1] - 298:23 <b>given</b> [12] - 11:2, 30:3, 44:13, 134:19, 135:19, 156:17, 213:23, 232:8, 247:16, 294:13, 312:8, 339:17 <b>glacial</b> [7] - 35:6, 35:7, 37:18, 37:24, 43:13, 44:3, 47:13 <b>glad</b> [4] - 65:7, 318:18, 349:1, 349:3 <b>glaring</b> [1] - 268:9 <b>glass</b> [1] - 304:2 <b>Global</b> [1] - 269:21 <b>global</b> [6] - 252:17, 268:8, 272:25, 274:14, 275:4, 275:8 <b>glossiest</b> [1] - 348:19 <b>goal</b> [6] - 163:4, 163:5, 246:20, 296:25, 346:18 <b>goals</b> [2] - 267:21, 346:23 <b>God</b> [2] - 333:15, 381:15 <b>Goddard</b> [2] - 268:24 <b>golf</b> [1] - 355:21 <b>Gordon</b> [4] - 355:7, 358:12, 363:10 <b>Gorrill</b> [4] - 8:4, 8:5, 115:24, 116:17 <b>gosh</b> [1] - 364:9 <b>governed</b> [1] - 252:2 <b>Governing</b> [2] - 3:19,	285:18 <b>Government</b> [5] - 336:18, 337:2, 338:2, 338:5, 339:15 <b>government</b> [1] - 344:12 <b>governmental</b> [1] - 346:5 <b>Governor's</b> [1] - 8:23 <b>GP</b> [1] - 342:14 <b>grab</b> [1] - 283:3 <b>grade</b> [4] - 58:5, 82:3, 123:10, 211:1 <b>graded</b> [2] - 71:10, 77:6 <b>grades</b> [1] - 62:14 <b>gradients</b> [1] - 33:24 <b>grading</b> [2] - 26:5, 71:1 <b>gradually</b> [1] - 334:8 <b>graduate</b> [3] - 91:2, 113:22, 250:17 <b>grains</b> [1] - 37:9 <b>grams</b> [1] - 357:7 <b>grandchild</b> [1] - 333:16 <b>grandchildren</b> [2] - 324:18, 384:6 <b>grant</b> [2] - 8:24, 348:8 <b>granting</b> [1] - 350:4 <b>graphic</b> [1] - 68:7 <b>grass</b> [1] - 64:13 <b>grasses</b> [1] - 246:12 <b>gratification</b> [2] - 299:4, 299:5 <b>Gratiot</b> [1] - 183:15 <b>gravel</b> [10] - 42:23, 43:15, 57:9, 57:11, 185:23, 186:3, 240:18, 252:22, 252:24, 368:4 <b>Great</b> [1] - 10:1 <b>great</b> [16] - 54:22, 120:14, 203:6, 216:25, 230:24, 238:5, 249:21, 304:9, 304:16, 309:17, 320:23, 339:24, 359:15, 362:11, 371:10, 376:8 <b>greater</b> [9] - 34:4, 34:17, 34:21, 53:10, 105:12, 160:22, 161:20, 219:8, 274:24 <b>greatest</b> [4] - 20:10, 28:19, 98:16, 368:25 <b>greatly</b> [4] - 251:19, 253:22, 339:13,	374:19 <b>Green</b> [1] - 374:23 <b>green</b> [1] - 382:21 <b>greened</b> [1] - 106:9 <b>Greg</b> [1] - 377:2 <b>grew</b> [1] - 23:5 <b>grind</b> [1] - 154:24 <b>grinding</b> [1] - 155:1 <b>grit</b> [3] - 185:18, 223:25, 304:2 <b>ground</b> [16] - 35:5, 40:5, 85:11, 85:13, 122:13, 180:2, 215:1, 218:16, 226:13, 226:22, 311:19, 325:1, 332:10, 333:8, 336:5, 379:15 <b>groundwater</b> [125] - 29:7, 30:12, 30:13, 30:25, 32:7, 32:9, 32:10, 32:12, 32:17, 32:19, 32:22, 33:21, 33:22, 34:1, 34:3, 34:4, 34:6, 34:8, 34:9, 34:10, 34:12, 34:13, 34:15, 36:2, 37:2, 37:7, 37:12, 37:15, 37:17, 37:20, 37:23, 37:24, 38:1, 38:12, 38:15, 38:17, 38:19, 38:23, 39:6, 39:11, 39:13, 39:19, 39:22, 39:24, 40:1, 40:4, 40:7, 40:9, 40:11, 40:15, 40:17, 40:22, 41:5, 41:8, 41:10, 41:13, 41:15, 41:20, 41:25, 42:21, 43:5, 43:6, 45:24, 46:6, 46:8, 46:9, 46:16, 57:6, 179:9, 179:11, 179:25, 180:1, 180:9, 180:15, 181:4, 181:5, 181:8, 181:16, 181:18, 181:19, 181:23, 181:25, 183:3, 183:9, 191:9, 206:19, 206:23, 207:8, 207:21, 213:5, 213:9, 213:13, 213:15, 213:16, 213:20, 215:10, 225:11, 225:24, 226:6, 226:12, 226:21, 227:5, 227:11, 229:2, 229:21,	230:4, 230:15, 230:18, 230:22, 231:4, 231:8, 231:11, 231:15, 232:9, 232:20, 248:3, 260:24, 306:14, 336:3, 336:5, 346:12, 353:13, 353:14 <b>groundwaters</b> [2] - 30:6, 45:25 <b>groundwork</b> [1] - 227:23 <b>group</b> [6] - 36:25, 131:23, 143:19, 168:19, 292:10, 354:23 <b>grouping</b> [3] - 36:21, 36:23, 36:24 <b>groups</b> [3] - 36:21, 184:20, 347:25 <b>grow</b> [5] - 297:14, 322:1, 342:2, 348:5, 365:25 <b>growing</b> [6] - 302:6, 321:11, 335:18, 359:21, 370:3, 373:8 <b>grown</b> [1] - 365:16 <b>growth</b> [7] - 155:21, 156:3, 253:2, 253:8, 343:8, 351:1, 366:13 <b>guarantee</b> [2] - 140:16, 265:4 <b>guaranteed</b> [6] - 135:25, 136:4, 140:25, 141:2, 345:8, 345:18 <b>guarantees</b> [1] - 315:13 <b>guess</b> [23] - 17:6, 28:24, 137:6, 137:12, 150:16, 150:19, 151:21, 152:13, 153:6, 157:19, 160:10, 162:3, 163:25, 166:2, 197:24, 205:20, 214:17, 218:3, 238:11, 278:2, 323:7, 372:1 <b>guidance</b> [1] - 101:23 <b>guidelines</b> [1] - 102:7 <b>Gulf</b> [1] - 263:1 <b>guy</b> [2] - 236:21, 240:9 <b>guys</b> [10] - 118:8, 118:16, 124:21, 137:8, 221:8, 236:24, 237:24, 238:10, 310:5, 371:20
---	--	--	--	---



H				
<p><b>habitat</b> [58] - 91:11, 94:23, 95:2, 95:3, 95:14, 95:24, 96:14, 96:17, 96:18, 97:3, 100:16, 100:17, 100:18, 101:2, 103:4, 103:8, 103:17, 103:20, 104:5, 105:17, 106:17, 107:9, 110:20, 111:10, 193:5, 193:7, 218:10, 219:7, 220:13, 245:10, 245:14, 246:7, 257:9, 257:11, 257:14, 257:18, 258:1, 258:2, 258:10, 258:11, 258:12, 258:16, 258:19, 258:23, 258:25, 259:11, 259:20, 260:16, 263:9, 266:12, 266:15, 266:25, 267:13, 324:20</p> <p><b>Habitat</b> [1] - 109:12</p> <p><b>habitats</b> [4] - 106:13, 246:10, 253:16, 258:7</p> <p><b>Haggan</b> [2] - 312:20, 314:1</p> <p><b>HAGGAN</b> [1] - 313:25</p> <p><b>half</b> [15] - 46:5, 53:12, 53:13, 112:18, 114:20, 154:18, 175:1, 187:24, 201:25, 202:1, 212:13, 327:10, 338:16, 339:8</p> <p><b>halfway</b> [1] - 150:13</p> <p><b>Hampden</b> [10] - 300:2, 311:14, 325:14, 326:11, 338:20, 338:23, 349:1, 349:3, 361:16, 362:4</p> <p><b>Hampshire</b> [2] - 171:17, 293:18</p> <p><b>hand</b> [11] - 6:12, 38:24, 149:19, 180:19, 265:24, 274:6, 278:22, 298:2, 318:5, 336:15, 336:17</p> <p><b>handing</b> [1] - 350:5</p> <p><b>handle</b> [14] - 28:18, 62:10, 78:22, 79:5, 79:7, 83:12, 85:16,</p>	<p>123:4, 164:15, 209:15, 244:4, 279:23, 300:8, 339:21</p> <p><b>handled</b> [4] - 13:15, 151:22, 206:16, 309:1</p> <p><b>handling</b> [6] - 20:10, 20:20, 20:22, 128:7, 196:15, 212:20</p> <p><b>hands</b> [3] - 8:4, 307:12, 348:19</p> <p><b>handshake</b> [1] - 376:13</p> <p><b>Hank</b> [3] - 300:19, 300:20, 301:1</p> <p><b>Hanson</b> [4] - 268:22, 269:13, 272:4, 272:6</p> <p><b>Hanson's</b> [2] - 272:7, 274:9</p> <p><b>happily</b> [1] - 381:18</p> <p><b>happiness</b> [2] - 344:25, 345:10</p> <p><b>happy</b> [14] - 14:9, 237:16, 244:6, 244:10, 244:11, 307:21, 350:10, 361:12, 373:5, 375:3, 378:12, 381:6, 385:17, 385:19</p> <p><b>Harbor</b> [4] - 312:22, 312:25, 313:2</p> <p><b>harbors</b> [1] - 257:2</p> <p><b>hard</b> [11] - 36:13, 65:9, 72:14, 80:6, 104:24, 117:19, 128:18, 264:6, 301:25, 348:17</p> <p><b>harder</b> [1] - 291:9</p> <p><b>hardest</b> [1] - 366:4</p> <p><b>hardship</b> [1] - 352:16</p> <p><b>harm</b> [1] - 258:9</p> <p><b>harmful</b> [1] - 353:19</p> <p><b>harvested</b> [1] - 254:13</p> <p><b>harvesting</b> [2] - 108:4, 219:23</p> <p><b>hashed</b> [1] - 291:14</p> <p><b>hat</b> [2] - 299:11, 364:3</p> <p><b>haul</b> [6] - 196:8, 196:9, 314:2, 360:7, 376:4, 379:7</p> <p><b>hauled</b> [3] - 263:15, 263:17, 379:18</p> <p><b>hauler</b> [2] - 12:25, 375:15</p> <p><b>haulers</b> [4] - 13:13, 302:10, 304:22, 379:25</p> <p><b>hauling</b> [5] - 12:23,</p>	<p>308:22, 309:2, 361:3, 380:14</p> <p><b>hauls</b> [1] - 308:22</p> <p><b>Hawk</b> [5] - 26:18, 146:13, 164:23, 165:1, 165:19</p> <p><b>hay</b> [1] - 241:6</p> <p><b>hazard</b> [3] - 329:18, 353:21, 354:13</p> <p><b>Hazardous</b> [1] - 2:12</p> <p><b>hazardous</b> [7] - 205:15, 224:6, 224:8, 224:9, 334:9, 334:12, 334:14</p> <p><b>hazards</b> [3] - 351:4, 353:25, 366:19</p> <p><b>HDB</b> [1] - 75:20</p> <p><b>HDPE</b> [1] - 187:4</p> <p><b>head</b> [11] - 66:10, 66:13, 66:14, 66:20, 69:15, 130:1, 234:1, 234:16, 237:7, 249:5, 279:12</p> <p><b>Head</b> [2] - 8:7, 82:25</p> <p><b>headed</b> [1] - 179:21</p> <p><b>header</b> [5] - 83:3, 83:4, 83:6</p> <p><b>heading</b> [3] - 166:11, 320:20, 343:5</p> <p><b>headwater</b> [1] - 253:17</p> <p><b>health</b> [14] - 119:5, 248:19, 320:24, 321:19, 321:22, 323:24, 325:3, 329:19, 345:3, 351:3, 352:4, 353:21, 353:24, 354:13</p> <p><b>healthy</b> [1] - 361:13</p> <p><b>hear</b> [29] - 4:25, 5:6, 5:9, 18:5, 21:14, 118:8, 118:17, 130:14, 131:15, 144:7, 225:17, 233:17, 237:1, 237:25, 238:2, 238:4, 238:8, 238:10, 249:25, 279:16, 286:9, 298:7, 308:9, 355:16, 360:3, 360:8, 360:16, 369:22, 384:14</p> <p><b>heard</b> [22] - 47:24, 75:17, 137:18, 172:15, 194:19, 241:14, 251:18, 257:10, 257:19, 258:23, 286:2,</p>	<p>286:6, 288:7, 307:3, 309:14, 328:2, 338:25, 340:6, 341:13, 350:14, 381:2, 381:12</p> <p><b>hearing</b> [34] - 2:1, 2:6, 2:19, 3:11, 3:14, 3:21, 4:3, 4:13, 4:17, 4:20, 4:22, 6:5, 6:9, 6:20, 7:13, 14:13, 21:14, 130:5, 141:14, 158:13, 158:18, 161:12, 161:13, 284:9, 284:15, 285:7, 285:13, 285:20, 286:12, 288:4, 342:7, 381:4, 381:20, 386:7</p> <p><b>Hearings</b> [2] - 3:20, 285:19</p> <p><b>hears</b> [1] - 278:10</p> <p><b>heart</b> [6] - 317:1, 317:6, 317:12, 329:11, 383:18, 383:21</p> <p><b>heartland</b> [2] - 324:11, 324:15</p> <p><b>heat</b> [2] - 335:20, 352:9</p> <p><b>heavier</b> [2] - 211:3, 333:7</p> <p><b>heavily</b> [1] - 376:3</p> <p><b>heavy</b> [4] - 47:14, 264:16, 320:15, 324:10</p> <p><b>height</b> [1] - 47:8</p> <p><b>held</b> [6] - 2:1, 3:14, 86:10, 285:13, 320:25, 342:6</p> <p><b>help</b> [8] - 72:9, 225:23, 239:11, 288:6, 299:2, 319:20, 355:4, 382:15</p> <p><b>helped</b> [1] - 225:10</p> <p><b>helpful</b> [1] - 71:5</p> <p><b>helps</b> [5] - 67:7, 121:25, 251:13, 359:23, 367:9</p> <p><b>Henry</b> [3] - 300:15, 301:5, 304:25</p> <p><b>Hermon</b> [1] - 363:14</p> <p><b>herring</b> [2] - 254:4, 266:21</p> <p><b>herrings</b> [1] - 253:24</p> <p><b>hi</b> [1] - 347:21</p> <p><b>Hi</b> [1] - 314:21</p> <p><b>hide</b> [1] - 377:24</p> <p><b>Hierarchy</b> [15] - 19:1, 19:17, 20:12, 23:17,</p>	<p>28:20, 162:20, 165:24, 178:1, 178:3, 178:6, 178:14, 185:8, 287:9, 301:24, 328:20</p> <p><b>hierarchy</b> [35] - 14:14, 14:22, 14:25, 19:7, 21:16, 22:5, 24:8, 25:10, 26:6, 147:4, 163:6, 163:7, 163:11, 176:19, 185:11, 186:17, 186:24, 302:1, 302:3, 303:8, 303:10, 303:12, 303:15, 315:2, 325:23, 348:8, 349:15, 354:16, 359:20, 362:11, 362:15, 362:16, 362:21, 362:24, 371:1</p> <p><b>high</b> [27] - 20:11, 27:23, 28:3, 28:20, 66:5, 66:22, 68:14, 68:17, 80:25, 88:5, 96:10, 104:4, 105:5, 107:2, 125:10, 125:16, 145:17, 247:1, 254:5, 260:17, 267:13, 275:21, 294:11, 318:11, 357:11, 379:22</p> <p><b>High</b> [1] - 351:15</p> <p><b>high-density</b> [3] - 66:22, 68:17, 80:25</p> <p><b>high-quality</b> [1] - 267:13</p> <p><b>high-value</b> [2] - 104:4, 105:5</p> <p><b>higher</b> [24] - 21:16, 34:3, 35:18, 37:19, 38:3, 39:1, 40:2, 40:6, 78:25, 81:7, 93:16, 102:6, 102:17, 105:15, 107:10, 180:1, 180:3, 188:7, 213:8, 213:11, 308:4, 308:5, 322:9</p> <p><b>highest</b> [3] - 79:12, 87:21, 257:8</p> <p><b>highlighted</b> [3] - 19:25, 21:1, 273:15</p> <p><b>highly</b> [2] - 363:2, 363:18</p> <p><b>Highway</b> [5] - 96:2, 245:1, 245:7,</p>

<p>245:15, 246:18  <b>hill</b> [1] - 194:9  <b>hills</b> [1] - 180:1  <b>hillside</b> [1] - 189:7  <b>hiring</b> [1] - 371:23  <b>Historic</b> [1] - 358:6  <b>historic</b> [4] - 95:19,  97:8, 254:5, 266:11  <b>historical</b> [1] - 35:2  <b>historically</b> [4] -  115:11, 116:14,  141:24, 253:25  <b>history</b> [7] - 141:21,  252:20, 253:13,  268:4, 342:20,  343:1, 343:3  <b>hit</b> [3] - 112:16,  368:18, 368:19  <b>hits</b> [1] - 189:5  <b>hog</b> [1] - 353:4  <b>hold</b> [9] - 5:15, 28:24,  86:6, 86:9, 131:14,  169:11, 260:17,  317:5, 322:25  <b>holding</b> [3] - 169:22,  170:8, 269:19  <b>holds</b> [1] - 187:15  <b>hole</b> [9] - 33:3, 67:13,  76:11, 187:21,  207:13, 267:24,  367:24, 367:25,  368:2  <b>holes</b> [3] - 32:15, 33:9,  81:13  <b>holistic</b> [1] - 266:2  <b>home</b> [9] - 163:20,  202:6, 224:7, 257:4,  296:10, 307:19,  324:23, 346:16  <b>Homeowner</b> [1] -  221:24  <b>homeowner</b> [1] -  335:7  <b>homeowners</b> [2] -  379:6, 379:24  <b>homes</b> [1] - 303:1  <b>honest</b> [2] - 137:9,  364:10  <b>honor</b> [1] - 376:11  <b>hook</b> [1] - 80:10  <b>hope</b> [9] - 145:4,  235:19, 269:6,  314:12, 358:9,  369:2, 369:25,  372:1, 380:16  <b>hopefully</b> [9] - 7:8,  145:2, 155:9,  287:24, 292:6,  292:18, 292:25,  359:4, 359:23</p>	<p><b>hoping</b> [2] - 200:12,  318:16  <b>horizontal</b> [5] - 81:19,  81:23, 82:9, 82:17,  123:8  <b>horizontal-type</b> [1] -  123:8  <b>horrifying</b> [1] - 333:6  <b>horsepower</b> [1] - 81:7  <b>horticultural</b> [1] -  373:9  <b>host</b> [2] - 11:9, 11:19  <b>hosting</b> [1] - 11:22  <b>hot</b> [8] - 194:25,  195:1, 195:2, 195:4,  240:16, 240:18,  335:16  <b>Hot</b> [1] - 374:24  <b>Houlton</b> [2] - 361:7,  361:8  <b>hour</b> [4] - 48:1,  116:10, 283:3, 354:4  <b>hours</b> [6] - 48:1,  117:25, 118:1,  119:21, 124:6, 321:3  <b>house</b> [12] - 13:13,  13:15, 50:10, 55:14,  127:12, 298:22,  310:9, 312:9,  335:18, 355:19,  355:24, 381:9  <b>houses</b> [2] - 363:23,  367:23  <b>hovering</b> [1] - 142:1  <b>Hovey</b> [4] - 358:13,  360:22, 360:25,  361:2  <b>HOVEY</b> [2] - 360:22,  361:1  <b>huge</b> [3] - 359:6,  379:20, 384:17  <b>hum</b> [2] - 241:13,  278:24  <b>human</b> [1] - 75:2  <b>humble</b> [2] - 309:12,  311:6  <b>hundred</b> [7] - 81:22,  85:17, 87:14,  111:23, 111:25,  359:13  <b>hundred-foot</b> [3] -  81:22, 111:23,  111:25  <b>hundreds</b> [2] - 266:24,  267:7  <b>Hurricane</b> [1] - 353:4  <b>hurting</b> [1] - 155:25  <b>hydraulic</b> [8] - 33:24,  40:9, 71:23, 180:4,  202:23, 213:19,</p>	<p>226:16, 227:12  <b>hydrogen</b> [23] - 119:9,  120:8, 124:12,  125:4, 125:6,  125:17, 125:20,  144:12, 197:22,  199:2, 199:4, 199:5,  199:16, 199:25,  238:15, 239:14,  239:21, 242:19,  248:13, 248:15,  248:22, 333:5, 377:8  <b>hydrogeologic</b> [3] -  29:20, 29:24, 226:20  <b>hydrogeologically</b> [1] -  336:2  <b>hydrogeology</b> [2] -  29:6, 226:17  <b>hydrologically</b> [1] -  275:15  <b>hypocritical</b> [1] -  371:16</p> <p style="text-align: center;"><b>I</b></p> <p><b>I-95</b> [2] - 117:1, 117:3  <b>ice</b> [6] - 35:7, 35:8,  47:6, 47:7, 47:8,  47:14  <b>idea</b> [12] - 57:15, 60:2,  111:12, 195:14,  237:1, 306:4,  306:10, 321:5,  322:8, 322:11,  348:8, 349:14  <b>ideal</b> [1] - 270:25  <b>identification</b> [1] -  127:15  <b>identified</b> [23] - 6:8,  6:9, 43:4, 43:11,  51:16, 51:24, 52:3,  58:21, 81:25, 93:9,  94:1, 94:15, 94:22,  95:8, 104:22,  106:25, 111:1,  127:8, 127:20,  128:2, 128:6, 193:5,  229:16  <b>identifies</b> [1] - 42:25  <b>identify</b> [14] - 44:19,  54:4, 55:15, 58:14,  58:24, 59:17, 94:25,  98:10, 125:20,  184:3, 207:22,  223:3, 251:14,  287:20  <b>ideological</b> [1] -  320:21  <b>IF&amp;W</b> [2] - 109:22,  111:22</p>	<p><b>ignition</b> [2] - 240:11,  240:16  <b>ignorance</b> [1] - 265:18  <b>ignore</b> [2] - 263:10,  333:10  <b>ignored</b> [1] - 337:2  <b>ignores</b> [1] - 260:1  <b>illustrated</b> [1] - 33:5  <b>illustrates</b> [4] - 19:15,  20:23, 27:22, 243:10  <b>images</b> [2] - 256:16,  256:17  <b>imagine</b> [2] - 333:4,  354:2  <b>immediate</b> [2] - 2:23,  266:19  <b>immediately</b> [9] -  42:7, 45:24, 128:3,  205:25, 208:11,  209:3, 216:25,  344:8, 344:10  <b>immense</b> [1] - 353:5  <b>impact</b> [19] - 56:13,  56:18, 56:19, 58:7,  60:12, 60:25, 72:17,  88:7, 100:12,  100:25, 102:11,  102:22, 134:13,  213:10, 258:7,  260:9, 260:10,  344:6, 376:5  <b>impacted</b> [6] - 99:8,  102:5, 105:16,  218:12, 259:25,  308:8  <b>impacting</b> [1] - 205:7  <b>impacts</b> [46] - 20:16,  49:14, 52:25, 53:10,  53:15, 57:6, 91:18,  97:19, 97:23, 98:1,  98:20, 98:24, 99:2,  99:5, 99:6, 99:15,  100:8, 100:12,  100:17, 100:20,  101:1, 101:5, 101:7,  101:9, 109:19,  109:24, 110:4,  110:9, 110:10,  112:4, 112:13,  112:14, 113:2,  113:7, 113:9,  113:10, 192:20,  205:12, 259:7,  259:10, 260:11,  262:20, 280:9,  287:5, 287:6, 291:20  <b>impeach</b> [1] - 277:17  <b>impeded</b> [1] - 213:6  <b>impel</b> [1] - 275:9  <b>imperative</b> [1] -</p>	<p>352:15  <b>implement</b> [5] - 42:4,  44:21, 184:5,  228:25, 229:13  <b>Implementation</b> [1] -  345:19  <b>implemented</b> [8] -  83:23, 117:6,  214:12, 229:1,  234:11, 328:21,  341:5  <b>implore</b> [1] - 308:9  <b>import</b> [2] - 59:1, 59:4  <b>importance</b> [3] -  257:1, 267:1, 306:18  <b>important</b> [40] - 7:13,  25:18, 30:24, 34:19,  35:10, 35:21, 39:23,  40:13, 46:17, 52:5,  53:18, 54:13, 57:7,  58:15, 68:2, 111:21,  115:11, 116:12,  121:21, 123:3,  124:16, 231:2,  231:7, 240:7, 240:8,  253:13, 256:19,  295:20, 303:10,  306:10, 315:5,  329:20, 329:21,  360:15, 361:23,  362:23, 370:17,  373:10, 374:4  <b>Importantly</b> [1] - 30:1  <b>imported</b> [8] - 58:25,  69:17, 69:22, 70:5,  71:8, 71:12, 138:20,  322:4  <b>impose</b> [1] - 156:24  <b>imposed</b> [1] - 21:8  <b>impregnated</b> [1] -  242:16  <b>impressed</b> [1] - 67:23  <b>impressive</b> [1] - 367:3  <b>improperly</b> [1] - 233:7  <b>improve</b> [5] - 120:2,  125:15, 266:5,  336:14, 372:3  <b>improved</b> [2] - 266:10,  366:12  <b>improvement</b> [1] -  295:2  <b>improvements</b> [1] -  295:13  <b>improving</b> [3] -  182:23, 252:14,  297:14  <b>IN</b> [4] - 1:5, 6:15,  298:5, 386:7  <b>in-depth</b> [1] - 115:25  <b>in-state</b> [17] - 126:7,</p>
--	---	---	---	--

<p>139:16, 139:19, 140:11, 140:13, 150:20, 170:17, 185:3, 186:6, 186:9, 186:10, 200:22, 201:12, 332:8, 332:16, 337:23, 339:12</p> <p><b>inaccuracies</b> [1] - 342:23</p> <p><b>inactive</b> [1] - 82:12</p> <p><b>inalienable</b> [1] - 344:21</p> <p><b>inappropriate</b> [2] - 143:25, 321:6</p> <p><b>Inc</b> [1] - 289:13</p> <p><b>incensive</b> [2] - 167:22, 324:13</p> <p><b>inch</b> [7] - 66:15, 66:18, 80:25, 82:13, 235:25, 236:1, 236:3</p> <p><b>inches</b> [8] - 67:25, 79:25, 80:2, 234:6, 234:7, 234:8, 235:23, 236:1</p> <p><b>incidental</b> [1] - 154:23</p> <p><b>incidentally</b> [1] - 195:22</p> <p><b>incinerate</b> [4] - 19:22, 23:18, 139:23, 302:23</p> <p><b>incinerated</b> [1] - 16:8</p> <p><b>incinerating</b> [1] - 162:22</p> <p><b>incineration</b> [2] - 25:14, 27:2</p> <p><b>incinerator</b> [13] - 15:20, 24:23, 25:15, 27:7, 122:2, 126:14, 139:20, 147:14, 147:17, 148:9, 148:11, 148:13, 200:25</p> <p><b>incinerators</b> [7] - 23:3, 23:14, 25:4, 27:4, 140:19, 148:15, 359:10</p> <p><b>include</b> [25] - 12:22, 18:15, 22:21, 23:6, 24:2, 31:24, 44:10, 58:10, 59:11, 72:12, 134:15, 134:20, 134:23, 134:25, 135:4, 156:20, 209:6, 225:22, 235:3, 262:14, 270:4, 287:2, 337:8, 352:9</p> <p><b>included</b> [13] - 12:10, 22:6, 63:4, 89:19,</p>	<p>166:1, 235:2, 246:18, 256:13, 259:13, 262:9, 273:23, 331:15, 336:24</p> <p><b>includes</b> [17] - 20:18, 25:14, 29:12, 35:2, 50:9, 99:4, 99:6, 104:1, 117:7, 119:20, 124:3, 140:8, 229:23, 290:6, 291:4, 296:6, 332:5</p> <p><b>including</b> [17] - 12:2, 18:18, 20:1, 21:22, 24:13, 90:11, 91:8, 120:5, 125:3, 165:25, 191:13, 287:7, 290:7, 337:18, 346:10, 346:23, 375:22</p> <p><b>inclusion</b> [2] - 43:13, 44:3</p> <p><b>income</b> [1] - 347:6</p> <p><b>incoming</b> [1] - 120:19</p> <p><b>inconsistency</b> [1] - 329:4</p> <p><b>incorporate</b> [5] - 39:14, 39:15, 54:14, 54:16, 88:12</p> <p><b>Incorporated</b> [1] - 314:2</p> <p><b>incorporated</b> [1] - 180:12</p> <p><b>incorporating</b> [1] - 210:21</p> <p><b>increase</b> [22] - 22:24, 116:10, 116:15, 155:9, 209:2, 243:17, 263:12, 263:17, 267:18, 274:23, 276:22, 277:23, 279:7, 279:8, 279:13, 295:5, 295:15, 326:6, 327:4, 327:11, 330:11, 339:6</p> <p><b>increased</b> [12] - 22:22, 243:14, 266:21, 270:5, 271:18, 272:16, 274:17, 325:25, 338:14, 345:6, 346:14, 352:18</p> <p><b>increases</b> [2] - 20:15, 171:19</p> <p><b>increasing</b> [5] - 191:16, 233:2, 252:14, 271:1, 271:2</p>	<p><b>incredible</b> [1] - 315:24</p> <p><b>incredibly</b> [1] - 154:14</p> <p><b>incubate</b> [1] - 252:23</p> <p><b>incur</b> [1] - 10:22</p> <p><b>indeed</b> [1] - 151:10</p> <p><b>independent</b> [4] - 89:17, 308:21, 344:19, 344:20</p> <p><b>Index</b> [1] - 11:7</p> <p><b>India</b> [1] - 362:6</p> <p><b>Indian</b> [5] - 168:25, 345:20, 350:24, 352:4, 352:17</p> <p><b>indicate</b> [1] - 191:9</p> <p><b>indicated</b> [6] - 54:4, 77:1, 87:24, 89:1, 125:22, 179:9</p> <p><b>indicates</b> [1] - 154:2</p> <p><b>indicating</b> [2] - 13:18, 236:2</p> <p><b>indicator</b> [1] - 198:9</p> <p><b>indirectly</b> [1] - 367:7</p> <p><b>individual</b> [6] - 24:9, 77:5, 81:3, 128:17, 194:12, 235:10</p> <p><b>individually</b> [1] - 123:14</p> <p><b>individuals</b> [4] - 169:1, 226:8, 275:13, 307:25</p> <p><b>indulgence</b> [1] - 331:16</p> <p><b>Industrial</b> [1] - 379:1</p> <p><b>industrial</b> [9] - 15:10, 15:11, 26:11, 145:15, 146:11, 221:25, 243:19, 335:21, 377:13</p> <p><b>industrialization</b> [1] - 316:21</p> <p><b>Industry</b> [1] - 379:15</p> <p><b>industry</b> [10] - 76:7, 86:14, 94:11, 154:14, 310:25, 320:16, 322:15, 324:1, 379:16</p> <p><b>inexcusable</b> [1] - 268:9</p> <p><b>infiltration</b> [1] - 64:22</p> <p><b>influence</b> [2] - 206:22, 236:15</p> <p><b>influenced</b> [1] - 260:14</p> <p><b>information</b> [56] - 7:6, 9:18, 30:20, 30:22, 32:1, 32:8, 32:11, 32:22, 32:25, 33:8, 33:14, 34:13, 34:24, 34:25, 35:3, 41:4, 46:3, 54:3, 85:4,</p>	<p>88:12, 89:20, 89:21, 89:25, 92:6, 106:23, 110:3, 110:7, 132:4, 133:1, 169:3, 170:23, 187:11, 210:14, 221:18, 222:12, 222:22, 226:10, 226:15, 227:1, 228:8, 228:21, 232:15, 249:5, 251:16, 261:11, 265:9, 265:20, 268:18, 278:11, 310:8, 319:8, 319:10, 319:13, 319:14, 382:7, 384:23</p> <p><b>informational</b> [2] - 288:25, 342:6</p> <p><b>infrastructure</b> [9] - 7:13, 52:13, 65:3, 81:16, 83:11, 124:7, 129:16, 279:22, 290:7</p> <p><b>ingredients</b> [1] - 176:8</p> <p><b>inhabitants</b> [1] - 347:11</p> <p><b>inherent</b> [3] - 147:25, 156:19, 344:21</p> <p><b>inherited</b> [1] - 319:21</p> <p><b>initial</b> [4] - 92:13, 209:11, 222:12, 290:22</p> <p><b>initiate</b> [2] - 206:3, 209:4</p> <p><b>initiating</b> [1] - 296:7</p> <p><b>initiative</b> [1] - 23:5</p> <p><b>initiatives</b> [1] - 24:4</p> <p><b>inject</b> [1] - 317:4</p> <p><b>Inland</b> [4] - 94:13, 109:9, 109:17, 259:12</p> <p><b>inner</b> [1] - 361:19</p> <p><b>input</b> [7] - 26:20, 146:15, 156:25, 158:11, 158:19, 206:11, 385:6</p> <p><b>insert</b> [1] - 38:6</p> <p><b>inside</b> [5] - 184:25, 195:4, 196:5, 234:16, 243:22</p> <p><b>insight</b> [1] - 230:22</p> <p><b>inspect</b> [7] - 4:18, 127:13, 127:16, 223:6, 234:14, 234:18, 286:13</p> <p><b>inspecting</b> [1] - 223:7</p> <p><b>inspection</b> [6] - 4:17, 89:23, 127:6, 127:9, 223:7, 286:13</p>	<p><b>inspections</b> [1] - 13:8</p> <p><b>instability</b> [1] - 269:23</p> <p><b>install</b> [10] - 32:7, 45:20, 45:21, 60:3, 123:6, 124:7, 208:1, 227:24, 237:15</p> <p><b>installation</b> [4] - 59:22, 71:9, 74:19, 182:11</p> <p><b>installations</b> [1] - 74:16</p> <p><b>installed</b> [23] - 25:5, 43:18, 68:11, 71:25, 72:5, 72:6, 72:8, 73:18, 75:12, 81:20, 81:21, 82:1, 82:4, 83:5, 118:5, 125:6, 180:8, 183:18, 214:8, 214:9, 243:16, 244:2</p> <p><b>installers</b> [1] - 217:6</p> <p><b>installing</b> [1] - 59:22</p> <p><b>instance</b> [7] - 33:6, 167:5, 167:20, 173:13, 232:23, 332:11, 373:22</p> <p><b>instances</b> [1] - 224:3</p> <p><b>instant</b> [1] - 299:4</p> <p><b>instantly</b> [1] - 322:17</p> <p><b>instead</b> [10] - 117:1, 117:3, 165:13, 167:16, 318:20, 330:24, 331:23, 338:18, 343:25, 368:2</p> <p><b>Institude</b> [3] - 268:24, 268:25, 269:3</p> <p><b>instrumentation</b> [1] - 197:9</p> <p><b>insufficiencies</b> [1] - 251:15</p> <p><b>insulation</b> [1] - 324:16</p> <p><b>insurance</b> [3] - 149:23, 149:25, 150:8</p> <p><b>Insurance</b> [2] - 1:10, 2:2</p> <p><b>intact</b> [2] - 36:13, 253:20</p> <p><b>intake</b> [1] - 141:25</p> <p><b>integral</b> [1] - 296:17</p> <p><b>integrated</b> [3] - 19:8, 19:20, 304:18</p> <p><b>integrity</b> [4] - 85:21, 252:15, 274:21, 280:19</p> <p><b>intelligent</b> [1] - 334:22</p> <p><b>intend</b> [2] - 304:17, 364:11</p> <p><b>intended</b> [2] - 82:17,</p>
--	---	---	---	--

<p>172:23  <b>intensive</b> [1] - 243:2  <b>intent</b> [1] - 62:15  <b>intention</b> [1] - 358:25  <b>intentions</b> [1] - 302:3  <b>interact</b> [2] - 265:3, 353:12  <b>interaction</b> [1] - 38:13  <b>intercept</b> [1] - 253:1  <b>interconnected</b> [1] - 267:16  <b>interconnection</b> [1] - 37:2  <b>interconnections</b> [1] - 260:5  <b>interconnectivity</b> [3] - 32:23, 37:6, 39:16  <b>interest</b> [8] - 323:1, 323:2, 323:4, 328:6, 331:16, 342:17, 352:20, 367:2  <b>interested</b> [5] - 4:1, 9:9, 143:23, 285:25, 355:23  <b>interesting</b> [2] - 75:4, 342:16  <b>interim</b> [1] - 244:3  <b>interior</b> [1] - 262:11  <b>intermediate</b> [7] - 74:8, 84:10, 84:11, 124:18, 124:19, 198:25, 235:11  <b>intermittent</b> [1] - 110:12  <b>internal</b> [2] - 76:16, 77:3  <b>internally</b> [2] - 77:3, 238:16  <b>interpret</b> [1] - 350:13  <b>interpretation</b> [2] - 111:2, 334:22  <b>interpreting</b> [1] - 39:10  <b>interrupt</b> [1] - 145:23  <b>interrupting</b> [2] - 264:5, 270:15  <b>intersect</b> [1] - 36:25  <b>intersection</b> [2] - 37:1, 47:17  <b>intersections</b> [1] - 116:18  <b>interstate</b> [3] - 10:5, 10:6, 117:4  <b>interval</b> [1] - 81:22  <b>intervenor</b> [2] - 5:1, 286:7  <b>interveners</b> [3] - 4:7, 4:8, 342:19  <b>interview</b> [1] - 221:17  <b>intoxicant</b> [2] - 96:21,</p>	<p>245:11  <b>introduce</b> [5] - 7:22, 8:13, 8:17, 9:11, 249:21  <b>introduction</b> [2] - 193:25, 194:3  <b>invasive</b> [1] - 91:12  <b>invertebrates</b> [1] - 253:1  <b>invest</b> [1] - 295:25  <b>invested</b> [5] - 23:1, 350:21, 376:2, 377:16, 377:17  <b>investigating</b> [1] - 305:19  <b>investigation</b> [5] - 37:11, 46:10, 51:25, 179:24, 228:15  <b>investigations</b> [15] - 29:24, 30:1, 30:8, 30:17, 31:18, 33:1, 33:2, 33:11, 36:15, 36:19, 38:9, 41:5, 52:1, 180:13, 226:3  <b>investment</b> [3] - 294:21, 294:22, 297:10  <b>invite</b> [2] - 342:25, 363:24  <b>involve</b> [1] - 375:17  <b>involved</b> [8] - 48:17, 183:14, 194:9, 206:22, 217:14, 229:16, 255:8, 371:19  <b>involves</b> [1] - 191:4  <b>iron</b> [5] - 242:13, 242:16, 242:18, 242:20, 242:23  <b>irregardless</b> [1] - 231:5  <b>irrelevant</b> [4] - 279:18, 322:15, 322:17, 322:20  <b>Island</b> [4] - 305:16, 313:1, 313:3, 313:4  <b>islands</b> [1] - 313:4  <b>isolated</b> [2] - 43:15, 97:6  <b>issue</b> [22] - 86:25, 87:2, 124:4, 161:18, 164:8, 207:20, 210:14, 216:4, 216:24, 224:2, 226:6, 276:20, 304:5, 307:15, 329:7, 329:14, 332:3, 342:5, 344:10, 346:1, 359:3, 381:19</p>	<p><b>issued</b> [15] - 13:18, 17:9, 17:10, 17:22, 17:24, 51:3, 92:22, 132:11, 157:6, 165:25, 221:20, 289:20, 292:20, 322:23, 331:12  <b>issues</b> [24] - 12:16, 12:17, 29:20, 30:23, 57:21, 75:21, 75:25, 91:18, 114:3, 144:13, 149:6, 158:17, 203:3, 217:4, 244:9, 320:13, 322:14, 322:17, 329:3, 330:21, 330:22, 335:17, 381:22, 384:7  <b>items</b> [6] - 75:14, 75:23, 78:11, 87:6, 298:21, 313:9  <b>iterative</b> [2] - 97:24, 239:18  <b>itself</b> [14] - 21:13, 45:1, 47:15, 94:16, 95:2, 95:15, 100:21, 105:6, 169:21, 179:24, 180:11, 188:6, 220:8, 330:22</p>	<p>285:7  <b>job</b> [18] - 47:17, 52:17, 54:22, 120:15, 167:5, 168:3, 216:23, 285:11, 298:12, 305:25, 308:12, 320:12, 363:19, 363:23, 364:24, 369:18, 380:11, 380:15  <b>jobs</b> [6] - 201:4, 308:6, 310:21, 311:11, 315:4, 367:19  <b>Joe</b> [2] - 221:5, 221:24  <b>John</b> [27] - 29:2, 29:3, 29:7, 29:17, 29:19, 46:21, 47:21, 50:4, 54:1, 56:7, 57:20, 58:20, 59:8, 71:2, 85:24, 87:24, 109:16, 179:4, 186:2, 191:23, 202:19, 212:2, 227:14, 314:1, 370:10, 372:8, 372:13  <b>Johnson</b> [1] - 8:6  <b>joined</b> [1] - 73:11  <b>joining</b> [1] - 188:13  <b>joint</b> [2] - 150:17, 167:11  <b>Jonathan</b> [4] - 1:17, 2:23, 284:18, 365:8  <b>Jones</b> [2] - 347:20, 347:21  <b>JONES</b> [3] - 347:21, 348:14, 348:16  <b>Josh</b> [3] - 377:3, 378:16, 378:17  <b>JRL</b> [40] - 12:12, 12:13, 29:25, 130:24, 131:17, 135:8, 162:8, 162:11, 170:18, 170:21, 171:9, 171:16, 172:4, 175:10, 184:20, 184:24, 185:7, 189:20, 192:21, 194:14, 194:16, 194:22, 200:16, 200:18, 200:20, 241:23, 244:17, 257:13, 259:5, 259:24, 266:13, 268:13, 276:5, 330:25, 331:6, 331:13, 331:21, 332:15, 334:14, 377:19</p>	<p><b>judged</b> [3] - 40:15, 42:15, 45:17  <b>judgment</b> [3] - 217:12, 259:5, 325:7  <b>judgments</b> [1] - 217:11  <b>judicial</b> [1] - 277:18  <b>Judkins</b> [4] - 110:18, 110:19, 111:5, 111:9  <b>July</b> [1] - 17:10  <b>jump</b> [2] - 248:1, 322:17  <b>June</b> [3] - 11:17, 134:10, 243:11  <b>Juniper</b> [152] - 2:9, 6:24, 7:14, 7:17, 10:8, 13:5, 13:20, 14:3, 15:5, 21:12, 21:23, 21:24, 22:12, 23:4, 24:10, 24:12, 25:1, 25:18, 25:22, 26:5, 27:12, 27:19, 27:22, 28:3, 28:16, 28:23, 29:10, 29:20, 48:14, 50:13, 51:4, 51:6, 51:14, 52:3, 53:3, 68:10, 70:6, 70:7, 74:14, 83:15, 113:19, 114:8, 114:15, 115:12, 115:20, 119:2, 119:17, 121:2, 127:12, 129:3, 137:20, 138:24, 139:8, 139:15, 139:25, 152:17, 153:13, 154:17, 155:8, 155:11, 155:18, 155:25, 157:17, 161:25, 164:14, 164:18, 165:17, 168:10, 169:3, 172:23, 177:17, 185:3, 194:5, 200:17, 201:11, 202:16, 214:6, 221:9, 240:5, 267:14, 268:6, 284:12, 288:22, 295:20, 296:12, 298:13, 301:13, 303:5, 303:7, 303:9, 303:15, 304:19, 306:18, 307:10, 307:12, 307:22, 313:15, 315:18, 320:8, 322:7, 325:4, 325:19, 326:1, 326:7, 328:17, 335:14, 336:1,</p>
<b>J</b>				
		<p><b>J.D</b> [2] - 375:11, 375:16  <b>Jake</b> [1] - 8:8  <b>JAMES</b> [1] - 1:12  <b>James</b> [7] - 1:24, 2:17, 226:7, 268:22, 351:14, 369:7, 370:9  <b>January</b> [4] - 289:20, 300:5, 331:10, 342:5  <b>jargon</b> [1] - 35:25  <b>Jay</b> [2] - 313:24, 314:14  <b>jeopardized</b> [1] - 346:13  <b>Jeremy</b> [16] - 12:17, 16:18, 65:8, 113:14, 113:22, 114:2, 114:4, 129:22, 143:18, 179:5, 193:12, 200:12, 209:1, 236:5, 248:11  <b>Jeremy's</b> [1] - 114:1  <b>Jim</b> [5] - 3:10, 17:2, 284:13, 285:5, 370:11  <b>Jim's</b> [1] - 285:5  <b>Joanne</b> [2] - 3:12,</p>		

336:19, 337:25, 338:4, 338:22, 338:23, 339:9, 339:22, 340:11, 341:11, 343:9, 343:14, 344:7, 345:5, 347:8, 347:12, 348:3, 348:5, 349:4, 349:12, 350:25, 352:19, 353:1, 353:13, 354:11, 354:14, 358:20, 363:15, 364:23, 365:20, 366:8, 366:17, 367:16, 368:20, 368:21, 369:4, 374:3, 374:25, 375:25, 376:6, 377:9, 378:14, 378:20, 379:19, 380:7 <b>JUNIPER</b> [1] - 1:6 <b>Juniper's</b> [1] - 139:17 <b>jurisdiction</b> [3] - 290:1, 324:23, 346:23 <b>jurisdictional</b> [2] - 100:9, 103:4 <b>justice</b> [2] - 344:9, 344:14 <b>justification</b> [1] - 110:6	264:5, 264:6, 288:13, 292:6, 293:1, 300:2, 316:10, 355:4, 376:22 <b>keeping</b> [1] - 376:15 <b>keeps</b> [1] - 216:1 <b>Kendall</b> [1] - 191:6 <b>Kenny</b> [3] - 308:19, 309:11, 312:14 <b>Kent</b> [1] - 114:17 <b>kept</b> [4] - 43:19, 67:22, 121:2 <b>Kevin</b> [1] - 363:10 <b>key</b> [2] - 183:5, 304:19 <b>kick</b> [1] - 306:20 <b>kids</b> [3] - 195:19, 299:10, 366:9 <b>kind</b> [40] - 14:2, 55:19, 55:20, 56:3, 61:17, 62:7, 62:20, 63:22, 64:5, 65:9, 65:19, 67:4, 71:2, 71:16, 72:7, 73:25, 75:16, 86:3, 87:13, 103:19, 117:19, 124:20, 174:24, 189:10, 209:14, 218:11, 221:17, 222:11, 223:21, 241:5, 280:4, 290:14, 338:7, 356:19, 356:20, 358:1, 369:20, 381:3 <b>kinds</b> [1] - 318:19 <b>King</b> [16] - 15:1, 18:13, 132:25, 138:19, 141:17, 145:9, 146:19, 148:20, 152:8, 156:8, 161:8, 164:6, 172:11, 173:3, 174:19, 175:2 <b>KING</b> [53] - 19:3, 19:5, 139:1, 139:4, 139:17, 140:12, 140:18, 140:23, 141:2, 141:6, 141:22, 142:6, 142:18, 142:25, 143:4, 143:13, 145:14, 145:25, 148:22, 148:24, 151:5, 152:18, 152:25, 153:3, 153:8, 153:19, 157:2, 158:21, 160:24, 162:16, 163:5, 163:10, 164:19, 165:15, 166:4, 166:17,	166:19, 167:1, 167:12, 169:23, 172:19, 173:11, 175:12, 175:19, 176:3, 176:21, 177:10, 177:13, 178:2, 178:5, 178:8, 178:12, 178:18 <b>Kittery</b> [1] - 114:17 <b>kitty</b> [1] - 242:14 <b>kneaded</b> [2] - 71:11, 71:15 <b>kneeling</b> [1] - 333:8 <b>knowing</b> [2] - 177:8, 295:23 <b>knowledge</b> [3] - 195:6, 205:16, 251:15 <b>known</b> [7] - 112:11, 112:24, 176:15, 263:23, 268:8, 350:17, 352:8 <b>knows</b> [4] - 144:16, 216:14, 307:5, 317:16 <b>Kruger</b> [1] - 151:19 <b>KTI</b> [3] - 155:13, 293:20, 337:21	<b>laboratories</b> [1] - 89:17 <b>laboratory</b> [1] - 33:13 <b>laced</b> [1] - 316:2 <b>lack</b> [1] - 97:3 <b>laden</b> [2] - 242:21, 334:12 <b>laid</b> [6] - 35:7, 62:9, 64:3, 69:3, 82:7, 82:24 <b>Laite</b> [5] - 4:11, 137:14, 202:7, 220:5, 282:18 <b>LAITE</b> [10] - 137:16, 138:2, 138:9, 138:13, 202:8, 203:6, 203:14, 203:19, 204:1, 282:19 <b>Lake</b> [1] - 267:7 <b>lamprey</b> [2] - 254:11, 267:12 <b>land</b> [32] - 15:8, 25:16, 26:12, 26:17, 31:14, 31:15, 47:15, 52:8, 107:23, 108:22, 146:6, 146:9, 146:12, 164:24, 164:25, 165:3, 165:8, 165:9, 165:16, 165:20, 189:3, 189:13, 189:18, 204:19, 204:20, 205:11, 220:1, 317:22, 372:19, 372:21, 373:17 <b>landed</b> [1] - 103:21 <b>LANDFILL</b> [1] - 1:6 <b>landfill</b> [412] - 3:24, 4:5, 7:19, 8:8, 10:2, 10:20, 11:3, 11:4, 11:5, 11:9, 12:3, 12:21, 12:23, 13:24, 14:1, 14:5, 14:6, 14:21, 18:22, 19:23, 22:3, 22:15, 23:19, 25:1, 25:6, 25:7, 25:19, 26:10, 27:24, 29:10, 30:2, 31:8, 31:10, 40:16, 41:23, 42:1, 42:9, 42:19, 43:3, 43:12, 44:9, 44:11, 44:24, 45:1, 45:5, 45:13, 45:15, 46:15, 46:19, 48:13, 48:20, 48:21, 48:25, 50:2, 50:6, 50:7, 51:18, 52:4, 52:19, 52:21, 53:19, 53:21,	53:25, 54:5, 54:8, 54:9, 54:15, 54:19, 54:20, 55:1, 55:6, 55:10, 55:15, 56:3, 56:22, 57:8, 57:14, 58:1, 58:2, 59:12, 60:3, 60:12, 61:23, 62:3, 62:10, 62:17, 63:6, 63:12, 63:16, 64:2, 64:14, 64:25, 65:2, 65:21, 66:12, 67:7, 67:14, 67:18, 71:1, 74:10, 75:19, 76:3, 78:9, 81:16, 82:3, 82:14, 82:23, 83:1, 84:22, 84:23, 86:4, 86:6, 86:10, 86:20, 87:16, 87:18, 87:21, 89:4, 93:24, 98:14, 98:15, 98:23, 103:25, 104:18, 108:4, 109:20, 110:25, 113:16, 113:18, 113:21, 118:22, 119:19, 120:6, 120:11, 120:23, 122:6, 122:20, 123:1, 123:2, 123:4, 124:4, 124:11, 125:2, 131:20, 133:6, 133:7, 133:13, 135:6, 135:10, 139:17, 139:25, 142:21, 143:11, 145:11, 145:21, 147:3, 147:7, 147:10, 148:1, 148:6, 149:9, 151:2, 152:1, 159:19, 160:16, 162:6, 162:9, 163:3, 163:9, 163:10, 164:21, 165:14, 166:10, 166:14, 168:19, 169:14, 169:21, 170:15, 173:24, 174:2, 174:5, 179:10, 180:15, 180:18, 180:22, 181:1, 181:9, 182:3, 182:4, 182:7, 183:4, 183:6, 183:8, 183:12, 183:15, 183:16, 183:20, 183:21, 184:11, 185:15, 185:20, 187:9, 188:8, 189:4, 190:15, 190:17, 190:20, 190:22, 190:23, 193:23,
<b>L</b>				
<b>L-024251-TG-C-N</b> [1] - 2:16 <b>LABBE</b> [31] - 114:5, 116:9, 121:9, 194:23, 195:16, 196:23, 197:20, 197:23, 198:3, 198:22, 199:19, 200:20, 201:9, 201:16, 202:2, 205:20, 212:5, 212:9, 220:25, 223:24, 236:17, 237:22, 238:20, 239:18, 240:7, 241:13, 241:18, 242:3, 243:18, 248:14, 248:20 <b>labbe</b> [6] - 194:4, 205:15, 241:22, 243:7, 244:15, 334:10 <b>Labbe</b> [9] - 12:17, 16:18, 113:14, 179:5, 193:12, 194:1, 220:16, 236:5, 248:11 <b>labeled</b> [1] - 127:9 <b>labor</b> [1] - 243:1				

<p>194:4, 194:19, 198:20, 199:5, 199:18, 200:2, 201:10, 201:12, 203:5, 204:13, 204:25, 205:5, 205:7, 207:7, 208:4, 211:2, 211:18, 213:7, 213:21, 215:21, 215:24, 216:15, 216:21, 226:4, 226:5, 226:9, 226:11, 228:24, 230:2, 230:5, 230:11, 231:5, 231:9, 231:16, 232:3, 232:7, 232:25, 233:6, 235:4, 235:8, 236:7, 238:17, 239:7, 239:8, 240:6, 242:24, 248:4, 251:22, 267:22, 267:24, 272:18, 276:23, 277:23, 285:23, 286:4, 286:5, 287:3, 289:7, 289:10, 289:17, 289:21, 290:9, 291:20, 295:7, 298:20, 299:2, 299:15, 300:7, 301:21, 302:13, 303:11, 305:23, 306:1, 306:11, 307:3, 307:8, 307:13, 307:14, 308:3, 308:12, 308:14, 308:22, 309:4, 309:5, 309:18, 309:19, 310:3, 310:12, 310:14, 310:17, 311:2, 311:4, 311:9, 311:14, 311:15, 312:2, 312:12, 313:13, 313:15, 314:2, 314:3, 317:22, 319:6, 319:21, 320:8, 322:3, 324:21, 324:22, 325:16, 325:17, 327:1, 327:6, 328:2, 328:4, 328:22, 329:2, 331:3, 331:22, 331:23, 332:10, 332:18, 333:3, 333:21, 333:24, 334:1, 334:2, 334:6, 335:19, 336:3,</p>	<p>336:9, 336:11, 336:16, 336:21, 337:14, 337:23, 338:14, 339:13, 340:1, 340:13, 341:15, 341:24, 342:8, 343:18, 343:24, 347:4, 347:14, 348:11, 349:3, 349:9, 349:19, 349:25, 350:3, 350:4, 350:9, 351:1, 351:2, 353:15, 358:24, 359:24, 360:1, 363:19, 363:22, 363:25, 364:22, 365:2, 365:4, 365:16, 366:23, 367:8, 367:21, 368:3, 370:6, 370:12, 370:19, 373:10, 373:18, 377:20, 377:24, 378:8, 380:2, 380:7, 380:8, 380:9, 380:11, 380:15, 380:20, 381:6, 381:11, 381:12, 383:1, 383:24, 384:1, 384:14, 384:15, 384:16, 384:21</p> <p><b>Landfill</b> [84] - 2:10, 4:6, 7:14, 7:17, 7:18, 9:24, 10:8, 13:20, 14:3, 15:5, 21:12, 21:23, 21:24, 24:10, 29:10, 29:21, 30:14, 40:12, 50:14, 51:4, 51:7, 51:14, 52:3, 68:10, 70:6, 70:8, 83:16, 114:9, 117:8, 119:8, 119:17, 125:24, 138:25, 139:9, 139:15, 153:14, 157:17, 164:14, 168:10, 169:4, 171:1, 177:17, 185:3, 194:5, 200:15, 240:5, 244:19, 268:6, 284:12, 288:22, 289:10, 296:12, 300:1, 301:13, 304:19, 315:19, 327:18, 327:19, 328:17, 335:15, 336:1, 336:19, 337:10, 337:25, 341:11,</p>	<p>343:9, 343:14, 344:7, 345:5, 347:8, 347:12, 348:3, 349:5, 360:13, 365:18, 366:8, 366:17, 369:4, 375:25, 376:6, 377:9, 378:20, 379:19, 379:20</p> <p><b>Landfill's</b> [1] - 378:14</p> <p><b>landfill-related</b> [1] - 119:19</p> <p><b>landfilled</b> [5] - 26:14, 28:10, 146:16, 163:23, 339:7</p> <p><b>landfilling</b> [11] - 14:17, 19:14, 26:22, 27:4, 139:21, 145:18, 162:22, 166:13, 323:6, 325:22, 372:23</p> <p><b>landfills</b> [34] - 8:20, 9:19, 9:20, 9:22, 12:8, 23:15, 48:19, 54:10, 57:11, 76:13, 90:4, 163:20, 193:13, 194:1, 194:10, 203:2, 300:11, 301:12, 303:8, 303:15, 306:3, 306:5, 306:17, 310:2, 312:1, 326:9, 328:4, 345:12, 345:13, 359:8, 362:14, 362:20, 371:19, 382:17</p> <p><b>lands</b> [1] - 345:20</p> <p><b>landscape</b> [4] - 206:21, 246:13, 253:19, 280:17</p> <p><b>Lang</b> [2] - 300:15, 301:5</p> <p><b>LANG</b> [6] - 300:17, 300:19, 300:21, 300:25, 301:4, 304:16</p> <p><b>language</b> [7] - 19:25, 108:15, 133:14, 258:5, 315:19, 315:25, 332:3</p> <p><b>LAPCA</b> [1] - 374:16</p> <p><b>large</b> [17] - 65:8, 89:9, 93:20, 99:20, 106:10, 110:21, 112:21, 128:16, 205:5, 209:1, 220:6, 234:20, 311:5, 326:6, 331:20, 373:22, 379:5</p>	<p><b>largely</b> [1] - 200:19</p> <p><b>larger</b> [7] - 66:16, 97:7, 205:10, 220:10, 267:24, 330:22, 366:1</p> <p><b>largest</b> [4] - 23:11, 78:19, 257:5, 337:19</p> <p><b>last</b> [42] - 29:25, 31:17, 35:7, 46:4, 74:6, 77:7, 79:1, 79:24, 114:6, 114:21, 115:7, 115:10, 131:3, 147:16, 154:18, 163:9, 188:16, 188:18, 194:14, 214:5, 231:14, 257:2, 268:5, 270:6, 291:13, 311:25, 314:15, 324:16, 326:17, 326:21, 335:7, 341:13, 341:21, 347:19, 352:23, 361:15, 362:10, 366:11, 369:10, 375:8, 376:25, 379:13</p> <p><b>lasting</b> [1] - 214:18</p> <p><b>lastly</b> [4] - 117:5, 125:5, 125:25, 368:15</p> <p><b>late</b> [2] - 372:16, 373:22</p> <p><b>lately</b> [1] - 251:1</p> <p><b>laterally</b> [1] - 181:20</p> <p><b>latest</b> [2] - 34:25, 87:10</p> <p><b>latter</b> [2] - 14:17, 268:15</p> <p><b>Laubenstein</b> [2] - 7:20, 8:13</p> <p><b>LAUBENSTEIN</b> [1] - 8:15</p> <p><b>laude</b> [1] - 113:22</p> <p><b>laughing</b> [1] - 383:3</p> <p><b>laundering</b> [1] - 340:12</p> <p><b>Law</b> [1] - 2:14</p> <p><b>law</b> [4] - 21:9, 177:24, 302:2, 333:25</p> <p><b>laws</b> [3] - 252:2, 260:3, 341:4</p> <p><b>layer</b> [25] - 15:19, 16:1, 25:5, 45:3, 45:6, 64:15, 64:16, 64:20, 65:15, 65:16, 65:20, 66:2, 66:3, 66:17, 67:18, 68:13, 69:15, 69:17, 69:22, 70:5, 70:7, 70:8,</p>	<p>71:8, 172:12, 210:24</p> <p><b>layers</b> [6] - 58:17, 65:10, 66:16, 68:8, 70:19, 71:14</p> <p><b>laying</b> [1] - 369:14</p> <p><b>laymen's</b> [1] - 236:23</p> <p><b>layout</b> [8] - 49:24, 53:2, 53:15, 77:20, 77:25, 78:18, 82:22, 98:12</p> <p><b>layouts</b> [1] - 53:3</p> <p><b>LD</b> [1] - 301:25</p> <p><b>leachate</b> [109] - 35:15, 45:14, 60:10, 60:11, 60:16, 61:2, 62:23, 63:1, 63:25, 64:9, 65:1, 65:2, 66:2, 66:8, 66:11, 66:14, 67:19, 73:17, 76:8, 76:16, 76:25, 77:1, 77:4, 77:5, 77:17, 78:9, 78:15, 78:25, 79:2, 79:9, 80:2, 80:5, 80:12, 81:14, 120:20, 120:21, 122:11, 122:14, 124:2, 169:20, 169:21, 170:2, 182:9, 183:21, 183:24, 184:3, 187:3, 190:18, 190:20, 190:22, 190:23, 192:21, 231:22, 232:1, 232:11, 232:15, 232:18, 232:22, 233:1, 233:3, 233:21, 234:1, 234:14, 234:16, 234:24, 235:9, 235:13, 235:17, 257:21, 260:8, 262:21, 263:4, 263:11, 263:13, 263:15, 263:17, 263:22, 264:22, 268:1, 276:5, 276:22, 277:23, 279:8, 279:17, 287:4, 317:9, 317:10, 319:4, 319:6, 319:15, 323:9, 323:11, 336:10, 346:14, 352:23, 355:25, 356:2, 356:11, 357:3, 357:6, 357:12, 357:14, 357:22, 358:7, 358:8, 358:10,</p>
--	--	---	--	--

<p>378:1, 378:4  <b>leachate-related</b> [1] - 120:20  <b>lead</b> [7] - 91:13, 224:1, 224:5, 263:25, 269:20, 334:12, 352:11  <b>lead-laden</b> [1] - 334:12  <b>leads</b> [1] - 269:22  <b>leak</b> [54] - 35:15, 41:18, 41:20, 44:17, 44:19, 45:1, 45:2, 56:9, 56:10, 59:14, 60:23, 65:1, 68:12, 68:16, 68:22, 69:2, 69:10, 69:12, 69:15, 70:8, 70:11, 70:20, 71:25, 72:4, 74:18, 75:10, 75:16, 76:20, 77:24, 78:7, 180:21, 181:8, 181:10, 182:4, 183:8, 184:3, 202:11, 208:8, 208:15, 208:21, 208:24, 214:4, 214:19, 227:16, 227:20, 228:6, 233:13, 247:14, 247:15, 247:18, 247:20, 319:24  <b>leakage</b> [15] - 42:12, 45:7, 45:9, 56:16, 76:6, 182:9, 182:15, 184:4, 184:9, 184:10, 184:13, 209:10, 247:22, 248:1, 317:9  <b>leaking</b> [4] - 42:1, 67:23, 183:12, 353:1  <b>leaks</b> [7] - 60:24, 68:21, 69:9, 76:17, 76:19, 215:4, 247:18  <b>learn</b> [3] - 305:16, 338:1, 383:11  <b>learned</b> [8] - 54:15, 250:11, 314:23, 344:5, 378:3, 383:6, 383:7, 384:3  <b>learning</b> [1] - 384:11  <b>lease</b> [1] - 294:2  <b>least</b> [17] - 14:13, 21:8, 32:2, 32:3, 32:9, 35:8, 109:1, 201:22, 213:6, 217:18, 219:12, 242:6, 269:7, 303:10, 323:16, 340:16, 357:11  <b>leave</b> [7] - 5:25,</p>	<p>158:17, 196:13, 306:7, 360:7, 385:14, 385:16  <b>leaves</b> [2] - 319:6, 319:7  <b>leaving</b> [2] - 324:20, 360:14  <b>Lee</b> [1] - 369:8  <b>left</b> [17] - 2:21, 3:4, 3:6, 5:24, 14:1, 114:19, 200:18, 278:22, 284:17, 284:24, 284:25, 290:14, 291:23, 302:22, 318:5, 320:16  <b>left-hand</b> [1] - 278:22  <b>legal</b> [4] - 158:13, 158:17, 252:4, 277:11  <b>legally</b> [2] - 156:19, 276:17  <b>legislation</b> [2] - 9:21, 330:25  <b>legislative</b> [1] - 349:17  <b>Legislative</b> [2] - 10:10, 342:11  <b>legislators</b> [2] - 3:25, 285:24  <b>Legislature</b> [3] - 9:19, 149:22, 168:16  <b>legitimacy</b> [1] - 197:1  <b>legitimate</b> [2] - 196:22, 196:24  <b>Leithiser</b> [3] - 332:22, 335:3, 335:6  <b>LEITHISER</b> [3] - 335:5, 339:3, 340:6  <b>Leonard</b> [1] - 351:16  <b>Leslie</b> [3] - 370:10, 372:8, 372:13  <b>LESLIE</b> [2] - 372:10, 375:5  <b>less</b> [28] - 26:2, 35:24, 36:18, 36:19, 36:22, 36:25, 38:20, 47:25, 63:14, 148:18, 153:25, 154:10, 157:15, 165:19, 165:20, 218:24, 230:19, 260:18, 275:13, 279:14, 292:14, 326:3, 337:20, 338:14, 338:20, 353:15, 373:23, 381:8  <b>lethal</b> [1] - 264:1  <b>letter</b> [5] - 259:9, 259:15, 262:10, 331:12, 331:14</p>	<p><b>letters</b> [1] - 110:2  <b>letting</b> [2] - 220:19, 363:13  <b>lettuce</b> [1] - 302:17  <b>level</b> [36] - 45:18, 46:5, 66:11, 69:9, 69:11, 79:12, 81:12, 85:12, 96:10, 96:20, 99:2, 116:1, 117:16, 125:11, 125:17, 144:5, 191:10, 215:11, 218:18, 218:19, 220:14, 231:9, 231:23, 233:21, 239:25, 240:1, 245:19, 246:24, 247:1, 248:12, 248:15, 248:17, 249:2, 317:17, 322:9  <b>levels</b> [12] - 32:9, 32:22, 41:10, 41:15, 61:11, 116:19, 117:14, 129:12, 180:1, 192:1, 346:10, 363:16  <b>Lewis</b> [1] - 351:15  <b>Lewiston</b> [16] - 23:2, 24:20, 25:23, 151:8, 155:15, 293:17, 293:23, 293:24, 294:3, 294:5, 294:8, 295:18, 296:19, 332:12, 337:22, 359:7  <b>Lewiston/Auburn</b> [2] - 374:12, 374:15  <b>liable</b> [1] - 150:3  <b>Libby</b> [1] - 351:16  <b>liberty</b> [2] - 344:17, 344:23  <b>License</b> [1] - 278:13  <b>license</b> [27] - 51:3, 118:24, 119:1, 119:10, 124:15, 129:14, 131:2, 133:3, 156:17, 156:21, 157:6, 165:25, 198:1, 198:14, 242:5, 277:10, 278:8, 278:9, 278:20, 280:3, 280:12, 280:13, 280:16, 328:23, 329:7, 329:14, 331:1  <b>licensed</b> [12] - 18:21, 29:3, 29:17, 48:8, 113:14, 115:6, 126:6, 135:14,</p>	<p>176:22, 196:11, 304:6, 378:24  <b>licenses</b> [3] - 27:6, 132:6, 165:25  <b>Licensing</b> [3] - 3:20, 9:4, 285:19  <b>licensing</b> [10] - 19:6, 48:20, 193:23, 286:22, 286:24, 287:11, 288:17, 317:20, 328:20, 378:15  <b>lie</b> [3] - 185:22, 312:2  <b>lieu</b> [5] - 121:25, 134:14, 134:21, 134:25, 135:1  <b>life</b> [27] - 22:4, 51:10, 64:11, 77:22, 82:19, 88:11, 252:20, 253:13, 257:9, 258:14, 263:24, 300:9, 306:7, 317:7, 318:15, 322:19, 322:22, 328:23, 331:1, 344:22, 351:7, 352:13, 353:22, 354:3, 359:5, 365:17, 366:1  <b>lifetime</b> [1] - 370:1  <b>light</b> [2] - 194:21, 195:5  <b>lighting</b> [1] - 372:11  <b>lights</b> [1] - 195:10  <b>likelihood</b> [1] - 274:18  <b>likely</b> [3] - 191:20, 267:8, 273:11  <b>limit</b> [40] - 84:20, 142:9, 153:11, 153:15, 154:3, 154:4, 155:6, 155:7, 155:17, 156:1, 156:16, 156:20, 156:24, 157:1, 157:8, 157:9, 157:19, 158:1, 158:19, 158:21, 162:4, 162:23, 172:18, 172:19, 172:24, 187:4, 187:7, 190:8, 190:17, 212:12, 234:3, 234:12, 239:14, 248:13, 248:15, 288:4, 296:25, 297:12, 325:18  <b>limitation</b> [1] - 154:14  <b>limited</b> [19] - 15:15, 20:2, 34:2, 39:7, 39:25, 40:12, 46:16,</p>	<p>96:13, 96:20, 120:5, 146:8, 172:17, 173:11, 251:25, 286:22, 287:2, 296:4, 313:11  <b>limiting</b> [3] - 155:20, 163:11, 296:23  <b>limits</b> [4] - 72:16, 86:17, 222:15, 248:21  <b>Lincoln</b> [7] - 10:3, 10:6, 151:19, 151:23, 370:3, 381:14, 381:16  <b>Lincolnville</b> [1] - 301:8  <b>line</b> [25] - 31:12, 31:13, 33:6, 43:23, 43:25, 50:7, 55:17, 57:14, 68:5, 76:25, 95:12, 99:25, 119:21, 179:19, 179:23, 180:5, 180:11, 221:3, 291:1, 291:2, 291:4, 321:9, 328:25, 360:14  <b>lined</b> [2] - 62:18, 77:3  <b>liner</b> [115] - 25:7, 44:17, 45:1, 45:2, 45:8, 45:10, 58:11, 58:15, 58:17, 59:9, 59:12, 59:15, 60:4, 60:9, 60:10, 60:15, 60:23, 60:24, 63:12, 63:17, 63:20, 64:17, 64:19, 65:1, 65:11, 65:20, 65:25, 66:13, 66:20, 66:21, 66:24, 66:25, 67:2, 67:8, 67:9, 67:17, 67:22, 68:2, 68:8, 68:17, 68:19, 69:14, 69:16, 69:25, 70:10, 70:11, 70:15, 71:14, 71:24, 72:1, 72:17, 72:22, 73:1, 73:10, 73:17, 73:20, 73:22, 74:24, 75:8, 76:1, 76:6, 76:8, 76:11, 76:17, 76:19, 76:24, 81:2, 81:3, 86:16, 86:17, 89:15, 126:11, 181:8, 182:3, 182:7, 182:10, 182:11, 182:14, 182:16, 182:18, 182:22, 183:1, 184:4, 184:12, 203:11, 203:12, 208:8,</p>
---	--	--	--	--

<p>208:18, 209:10, 210:20, 210:21, 211:3, 214:22, 215:4, 215:16, 215:21, 215:24, 217:6, 231:11, 233:6, 235:22, 247:17, 247:22, 248:2, 319:22, 323:13, 377:25, 378:2</p> <p><b>liners</b> [14] - 45:5, 63:14, 64:18, 73:7, 75:1, 75:12, 75:15, 75:19, 75:20, 188:13, 210:15, 211:23, 235:22</p> <p><b>lines</b> [11] - 55:19, 62:15, 77:16, 77:20, 77:21, 87:23, 179:18, 225:13, 234:14, 234:20, 234:22</p> <p><b>lining</b> [3] - 210:10, 317:8, 324:15</p> <p><b>link</b> [1] - 176:10</p> <p><b>Lippincott</b> [4] - 324:5, 325:11, 325:14, 349:1</p> <p><b>LIPPINCOTT</b> [1] - 325:13</p> <p><b>lipstick</b> [1] - 323:12</p> <p><b>liquid</b> [3] - 146:5, 243:23, 276:4</p> <p><b>liquids</b> [1] - 377:22</p> <p><b>list</b> [16] - 4:2, 96:6, 145:12, 151:16, 151:17, 261:14, 261:16, 262:13, 262:16, 262:19, 286:1, 286:23, 312:17, 357:4, 376:24, 385:3</p> <p><b>listed</b> [13] - 101:13, 141:17, 172:13, 194:2, 258:20, 259:10, 261:7, 261:23, 262:24, 263:7, 330:5, 351:11</p> <p><b>listen</b> [5] - 48:6, 144:8, 238:1, 278:2, 369:3</p> <p><b>listened</b> [3] - 319:12, 369:19, 381:20</p> <p><b>listening</b> [3] - 238:12, 332:25, 343:16</p> <p><b>lists</b> [1] - 284:5</p> <p><b>liter</b> [3] - 357:5, 357:7, 357:8</p> <p><b>literally</b> [1] - 239:6</p> <p><b>literature</b> [5] - 67:10,</p>	<p>111:11, 111:15, 237:13, 269:4</p> <p><b>Littell</b> [1] - 331:11</p> <p><b>litter</b> [1] - 242:15</p> <p><b>live</b> [28] - 239:22, 243:23, 259:23, 294:7, 312:22, 315:6, 316:8, 318:10, 318:17, 318:22, 319:14, 320:7, 325:14, 333:2, 333:14, 341:2, 361:15, 362:3, 363:14, 370:11, 370:15, 372:13, 377:12, 378:8, 382:14, 384:9</p> <p><b>lived</b> [1] - 361:7</p> <p><b>livelihoods</b> [1] - 343:22</p> <p><b>liver</b> [1] - 317:12</p> <p><b>lives</b> [1] - 325:3</p> <p><b>living</b> [5] - 316:9, 316:22, 344:7, 345:4, 347:7</p> <p><b>LLC</b> [3] - 4:10, 278:17, 289:10</p> <p><b>load</b> [25] - 127:16, 128:1, 128:13, 128:21, 128:24, 143:9, 194:25, 195:1, 195:4, 195:5, 195:14, 195:17, 195:25, 196:6, 196:14, 205:25, 222:9, 223:2, 223:12, 240:16, 240:19, 244:17, 267:18, 304:8, 384:18</p> <p><b>loaded</b> [1] - 174:1</p> <p><b>loads</b> [8] - 121:13, 154:24, 195:1, 196:17, 197:19, 220:16, 223:11, 334:12</p> <p><b>local</b> [6] - 40:16, 128:20, 183:4, 213:21, 294:7, 353:6</p> <p><b>localized</b> [1] - 118:14</p> <p><b>locally</b> [2] - 38:4, 201:2</p> <p><b>locate</b> [1] - 294:1</p> <p><b>located</b> [30] - 7:2, 9:23, 10:5, 31:9, 31:21, 57:11, 63:6, 87:11, 88:5, 95:1, 95:15, 97:10, 98:19, 98:22, 99:24, 103:24, 110:19,</p>	<p>184:25, 225:12, 233:20, 257:14, 257:19, 267:25, 273:4, 289:7, 345:13, 353:1, 374:10, 378:23, 378:25</p> <p><b>locating</b> [2] - 57:14, 98:16</p> <p><b>location</b> [17] - 27:10, 74:18, 74:19, 76:21, 85:10, 139:20, 198:16, 199:25, 206:15, 219:13, 227:7, 237:7, 310:16, 356:3, 357:3, 365:2, 378:25</p> <p><b>locations</b> [16] - 23:23, 33:9, 44:2, 55:21, 117:17, 117:18, 120:9, 123:16, 123:23, 125:7, 198:6, 198:7, 238:21, 238:23, 239:3, 239:4</p> <p><b>logging</b> [2] - 33:4, 95:19</p> <p><b>logistics</b> [1] - 20:20</p> <p><b>long-term</b> [12] - 51:5, 82:6, 83:21, 86:7, 149:8, 216:4, 325:20, 328:1, 328:5, 331:9, 346:6, 352:24</p> <p><b>longest</b> [2] - 48:5, 189:11</p> <p><b>look</b> [56] - 14:14, 18:9, 41:9, 45:7, 55:5, 55:6, 56:2, 60:21, 61:1, 61:7, 75:7, 78:18, 79:3, 79:11, 81:6, 86:3, 86:15, 86:16, 86:20, 87:9, 88:22, 128:1, 147:1, 150:12, 156:10, 173:16, 176:3, 179:20, 185:13, 190:14, 190:16, 190:17, 190:18, 190:23, 196:2, 199:14, 209:13, 209:17, 214:22, 232:17, 232:19, 239:24, 241:6, 259:14, 270:16, 278:19, 289:6, 296:8, 308:10, 310:3, 310:9, 320:17, 362:13, 367:13, 382:6,</p>	<p>382:22</p> <p><b>looked</b> [23] - 40:14, 50:21, 51:12, 51:13, 52:23, 53:1, 60:22, 79:16, 79:17, 80:22, 87:16, 170:25, 171:2, 174:4, 195:6, 219:19, 219:20, 235:8, 295:21, 305:22, 356:16, 357:4, 383:16</p> <p><b>looking</b> [36] - 16:3, 16:10, 33:19, 42:9, 52:5, 53:2, 56:11, 86:2, 103:13, 104:6, 147:15, 151:17, 152:9, 156:9, 156:11, 160:9, 167:13, 190:10, 211:23, 214:11, 217:10, 228:12, 229:24, 245:4, 278:7, 295:4, 295:7, 295:11, 295:16, 299:1, 305:24, 307:24, 318:19, 324:12, 338:5, 357:10</p> <p><b>looks</b> [5] - 106:4, 147:25, 152:14, 203:8, 338:7</p> <p><b>lose</b> [1] - 308:6</p> <p><b>losing</b> [1] - 368:19</p> <p><b>lost</b> [3] - 139:6, 152:25, 219:12</p> <p><b>loud</b> [3] - 225:20, 249:18, 381:3</p> <p><b>love</b> [3] - 144:7, 373:7</p> <p><b>loved</b> [1] - 143:22</p> <p><b>low</b> [22] - 34:1, 35:12, 38:21, 38:23, 40:6, 40:10, 42:5, 43:16, 46:12, 85:15, 87:25, 88:2, 97:1, 145:18, 180:2, 226:13, 248:12, 248:14, 271:19, 318:13, 347:6</p> <p><b>low-lying</b> [4] - 40:10, 87:25, 88:2, 226:13</p> <p><b>lower</b> [12] - 35:14, 37:19, 37:21, 38:3, 40:2, 40:4, 180:17, 181:4, 217:20, 246:9, 266:8, 273:15</p> <p><b>lower-lying</b> [1] - 37:21</p> <p><b>lowering</b> [2] - 206:22, 207:8</p> <p><b>lowest</b> [3] - 87:18, 87:20, 362:15</p>	<p><b>luckily</b> [1] - 333:12</p> <p><b>lumber</b> [2] - 152:13, 313:11</p> <p><b>LUNCH</b> [1] - 130:4</p> <p><b>lunch</b> [2] - 7:7, 130:1</p> <p><b>lying</b> [6] - 37:21, 40:10, 87:25, 88:2, 180:2, 226:13</p> <p><b>Lynn</b> [3] - 1:24, 3:11, 285:6</p>
<b>M</b>				
<p><b>MacDonald</b> [1] - 327:18</p> <p><b>machinery</b> [1] - 307:7</p> <p><b>machines</b> [1] - 144:4</p> <p><b>magic</b> [1] - 307:18</p> <p><b>magnitude</b> [2] - 272:20, 274:23</p> <p><b>Maher</b> [5] - 29:8, 48:10, 52:22, 54:18, 97:23</p> <p><b>mail</b> [3] - 192:7, 192:11, 385:22</p> <p><b>mails</b> [1] - 109:10</p> <p><b>main</b> [9] - 61:2, 78:3, 78:4, 78:8, 120:10, 120:17, 298:12, 317:2, 352:6</p> <p><b>MAINE</b> [2] - 1:1, 1:5</p> <p><b>Maine</b> [170] - 1:10, 2:2, 2:8, 2:12, 3:15, 8:25, 9:2, 9:5, 18:18, 19:10, 19:16, 23:3, 23:5, 23:10, 23:12, 23:13, 23:15, 23:23, 23:25, 24:13, 27:4, 29:5, 29:16, 30:3, 48:9, 48:23, 51:6, 55:2, 73:23, 74:4, 76:22, 84:1, 91:25, 92:19, 94:9, 94:19, 97:5, 111:18, 111:22, 113:15, 113:23, 114:1, 114:14, 114:15, 114:16, 114:23, 136:18, 137:20, 139:20, 140:2, 140:7, 140:8, 145:19, 146:9, 147:17, 151:7, 155:7, 155:12, 155:22, 162:20, 164:10, 165:7, 171:15, 173:9, 176:1, 176:11, 177:16, 177:24, 186:8, 186:16,</p>				



186:23, 187:1,  
193:14, 193:24,  
195:12, 201:4,  
203:12, 224:9,  
224:10, 232:6,  
240:2, 244:18,  
248:22, 250:16,  
250:17, 251:3,  
257:2, 257:7,  
259:12, 261:8,  
263:1, 269:2,  
278:11, 278:17,  
284:10, 285:14,  
286:3, 288:20,  
289:14, 293:17,  
293:18, 295:12,  
301:8, 301:15,  
301:18, 304:18,  
304:23, 310:23,  
310:25, 313:17,  
315:11, 315:16,  
318:17, 320:7,  
321:19, 322:5,  
322:24, 323:2,  
323:7, 324:7,  
324:25, 325:8,  
325:17, 325:19,  
327:12, 328:14,  
334:21, 335:6,  
335:20, 335:25,  
336:20, 337:6,  
337:17, 338:4,  
338:13, 340:15,  
343:16, 344:11,  
344:13, 345:16,  
345:19, 346:4,  
347:4, 349:14,  
350:21, 358:6,  
359:3, 359:10,  
360:5, 360:7, 361:3,  
361:7, 362:18,  
362:22, 363:14,  
364:6, 365:5,  
365:15, 367:15,  
369:9, 372:13,  
373:2, 373:5,  
375:16, 376:1,  
377:12, 378:23,  
381:1  
**Maine's** [15] - 27:15,  
184:25, 185:1,  
185:4, 186:17,  
186:24, 261:9,  
270:4, 301:23,  
337:12, 337:18,  
339:10, 340:12,  
343:6, 354:11  
**Maine-based** [1] -  
23:5  
**Mainers** [1] - 376:20  
**mainstem** [8] -

112:12, 112:20,  
257:19, 257:25,  
263:3, 264:19,  
266:4, 267:11  
**maintain** [4] - 100:21,  
128:12, 128:15,  
242:3  
**maintained** [1] -  
128:14  
**maintaining** [3] -  
101:2, 315:9, 315:11  
**maintenance** [1] -  
304:5  
**major** [8] - 27:18,  
200:13, 201:7,  
201:9, 221:13,  
252:6, 268:5  
**majority** [5] - 26:15,  
27:2, 27:11, 151:5,  
171:18  
**man** [1] - 94:17  
**man-made** [1] - 94:17  
**manage** [11] - 19:20,  
20:6, 21:15, 22:8,  
119:19, 143:7,  
206:6, 239:11,  
293:16, 296:4,  
373:12  
**managed** [2] - 23:23,  
170:18  
**Management** [21] -  
2:13, 2:14, 19:1,  
19:16, 20:12, 23:17,  
28:20, 84:2, 145:19,  
159:7, 165:24,  
166:21, 178:1,  
178:3, 178:6,  
178:14, 185:8,  
287:9, 288:21,  
301:24, 328:20  
**management** [23] -  
19:8, 21:22, 27:3,  
27:16, 27:18, 27:21,  
28:1, 30:3, 48:13,  
49:7, 52:16, 65:3,  
83:19, 84:7, 90:10,  
91:12, 114:23,  
243:9, 250:19,  
268:14, 287:4,  
287:5, 362:17  
**manager** [17] - 6:24,  
8:19, 18:22, 48:10,  
91:5, 113:16,  
113:18, 113:20,  
128:5, 194:4,  
212:17, 286:14,  
288:21, 293:14,  
301:5, 361:2, 361:19  
**manages** [1] - 91:7  
**managing** [7] - 12:7,

27:14, 84:6, 119:16,  
119:25, 300:7,  
320:12  
**mandate** [1] - 160:12  
**mandated** [1] - 352:14  
**manifest** [7] - 13:2,  
128:12, 222:10,  
223:2, 223:4,  
223:13, 223:14  
**manifests** [3] - 13:10,  
13:14, 128:17  
**manmade** [9] - 95:16,  
95:18, 95:22, 100:9,  
102:9, 102:15,  
103:2, 107:6, 219:4  
**Mann** [1] - 191:6  
**Mann-Kendall** [1] -  
191:6  
**manner** [6] - 115:21,  
129:8, 290:11,  
320:21, 363:4,  
364:25  
**manual** [2] - 92:18,  
92:23  
**manufacture** [1] -  
373:3  
**manufactured** [2] -  
66:5, 306:23  
**manufacturer's** [1] -  
67:10  
**map** [10] - 111:1,  
193:10, 255:25,  
273:14, 273:19,  
273:20, 274:7,  
290:13, 306:12  
**MAPES** [5] - 169:19,  
170:9, 212:3, 212:6,  
213:2  
**Mapes** [3] - 1:17, 2:23,  
284:18  
**mapped** [3] - 110:19,  
185:22, 193:8  
**mapping** [3] - 87:7,  
245:21, 245:24  
**maps** [5] - 87:10,  
87:15, 245:22,  
262:22, 273:3  
**marine** [1] - 258:13  
**Marine** [4] - 109:8,  
109:13, 256:5, 261:9  
**Mark** [5] - 1:15, 2:25,  
8:6, 168:6, 284:20  
**market** [4] - 295:9,  
306:1, 361:2, 361:14  
**marketing** [2] -  
374:21, 374:22  
**markets** [1] - 367:14  
**marsh** [4] - 93:20,  
105:7, 106:8, 246:12  
**marshes** [1] - 105:12

**Mary** [3] - 1:19, 3:2,  
284:22  
**mass** [1] - 107:9  
**Massachusetts** [10] -  
174:7, 186:7,  
186:14, 186:21,  
293:19, 295:9,  
351:9, 360:10,  
360:12, 373:7  
**masses** [3] - 95:21,  
107:4, 107:6  
**massive** [2] - 321:15,  
324:9  
**master** [1] - 9:8  
**master's** [3] - 9:8,  
29:13, 113:25  
**material** [115] - 15:14,  
21:22, 23:7, 23:9,  
25:20, 25:24, 26:6,  
28:1, 35:11, 66:5,  
66:23, 67:3, 67:4,  
67:5, 67:12, 71:13,  
84:10, 114:15,  
120:19, 121:1,  
121:11, 121:14,  
124:20, 127:8,  
127:11, 127:19,  
128:3, 128:9,  
128:21, 128:22,  
128:23, 138:24,  
139:8, 139:13,  
139:23, 140:5,  
140:7, 140:11,  
142:7, 142:16,  
142:20, 143:11,  
150:23, 155:8,  
160:3, 164:21,  
166:12, 166:23,  
167:8, 167:11,  
168:11, 172:12,  
175:14, 175:17,  
177:5, 185:20,  
188:9, 190:2, 195:2,  
195:4, 195:7, 195:8,  
196:9, 196:12,  
196:18, 200:22,  
205:25, 206:4,  
206:6, 206:9,  
212:20, 221:12,  
221:14, 221:15,  
222:4, 222:6, 222:8,  
222:24, 223:1,  
223:8, 223:9,  
223:12, 223:17,  
223:24, 224:6,  
224:7, 242:16,  
242:20, 242:21,  
244:17, 254:23,  
254:24, 255:1,  
255:3, 261:20,

264:4, 264:8,  
294:16, 295:6,  
296:11, 297:11,  
302:22, 303:25,  
309:1, 309:3,  
332:12, 332:15,  
333:23, 354:9,  
356:21, 359:7,  
379:17  
**materials** [62] - 22:17,  
22:19, 22:24, 23:1,  
23:21, 24:15, 25:9,  
26:15, 26:20, 27:23,  
28:2, 30:21, 50:12,  
58:5, 59:20, 62:7,  
65:21, 65:22, 65:24,  
72:1, 72:18, 75:24,  
89:13, 89:15, 89:16,  
89:18, 121:5,  
121:21, 121:24,  
122:1, 122:3,  
127:25, 128:5,  
138:21, 151:10,  
163:6, 167:21,  
170:24, 175:23,  
176:6, 176:7,  
177:15, 185:17,  
186:6, 194:22,  
200:23, 206:8,  
211:19, 211:24,  
221:21, 222:16,  
223:19, 240:21,  
334:20, 339:1,  
339:4, 341:23,  
359:25, 380:5  
**Materials** [1] - 145:19  
**math** [2] - 263:16,  
279:12  
**Matt** [8] - 299:17,  
299:18, 300:16,  
300:18, 300:21,  
300:24, 301:1,  
304:25  
**matter** [9] - 7:1,  
229:17, 248:12,  
302:2, 322:2,  
322:12, 339:19,  
353:18  
**matters** [8] - 6:7, 6:8,  
252:4, 265:19,  
276:17, 287:3,  
287:10, 312:8  
**Matthew** [1] - 353:4  
**mattress** [5] - 173:13,  
173:15, 173:16,  
174:3, 295:8  
**mattresses** [4] -  
173:20, 173:22,  
295:10, 296:6  
**maximize** [2] - 19:19,

<p>21:18  <b>maximizes</b> [1] - 26:19  <b>maximizing</b> [3] - 19:13, 20:13, 28:21  <b>maximum</b> [17] - 20:9, 20:18, 21:25, 22:11, 26:2, 26:13, 28:9, 98:1, 113:7, 146:14, 153:25, 154:6, 154:12, 157:14, 157:24, 185:14, 234:12  <b>MBA</b> [1] - 18:20  <b>McDougal</b> [1] - 377:2  <b>Meadow</b> [1] - 318:23  <b>meager</b> [1] - 323:17  <b>mean</b> [24] - 36:14, 97:23, 137:11, 145:23, 147:11, 149:21, 149:24, 177:5, 181:7, 197:25, 207:3, 214:17, 215:3, 220:18, 220:19, 229:1, 229:15, 238:8, 364:7, 370:15, 370:20, 371:21, 380:22, 385:25  <b>meaning</b> [3] - 27:24, 124:8, 246:25  <b>meaningful</b> [1] - 191:22  <b>means</b> [15] - 20:10, 20:11, 28:19, 34:2, 34:3, 44:14, 44:15, 82:6, 101:8, 116:19, 228:6, 281:1, 306:2, 334:24, 340:8  <b>meant</b> [5] - 77:13, 82:18, 141:12, 245:18, 326:16  <b>measure</b> [12] - 24:7, 28:8, 34:7, 36:2, 78:6, 118:4, 124:16, 125:5, 125:13, 144:17, 214:8, 234:1  <b>measured</b> [6] - 33:23, 34:9, 123:17, 209:15, 247:25  <b>measurement</b> [4] - 34:11, 125:20, 198:13, 239:21  <b>measurements</b> [1] - 231:9  <b>measures</b> [8] - 19:12, 21:18, 83:23, 83:24, 143:24, 184:5, 184:7  <b>measuring</b> [2] - 34:13, 144:12</p>	<p><b>mechanism</b> [1] - 162:2  <b>mechanisms</b> [1] - 173:5  <b>media</b> [1] - 241:24  <b>medium</b> [1] - 27:24  <b>meet</b> [35] - 19:6, 25:10, 26:21, 36:3, 44:13, 52:9, 55:10, 55:22, 56:2, 56:24, 61:10, 92:9, 94:20, 94:24, 98:2, 100:7, 100:10, 102:13, 102:16, 105:10, 105:13, 107:4, 107:7, 126:23, 127:4, 153:23, 162:20, 169:8, 169:13, 211:25, 222:18, 331:9, 331:24, 385:9  <b>meeting</b> [13] - 102:19, 119:15, 142:13, 158:4, 161:16, 169:11, 169:15, 169:16, 292:13, 292:15, 342:6, 377:6, 385:9  <b>meetings</b> [2] - 338:2, 385:8  <b>meets</b> [7] - 30:2, 30:19, 36:4, 57:17, 88:4, 90:9, 325:20  <b>member</b> [5] - 17:3, 164:6, 337:25, 368:15, 378:10  <b>Members</b> [7] - 5:11, 6:22, 7:12, 9:14, 91:21, 136:10, 137:17  <b>members</b> [21] - 2:20, 4:15, 5:17, 5:20, 14:10, 131:18, 138:15, 143:19, 169:18, 170:10, 282:20, 282:21, 284:15, 293:11, 328:11, 332:24, 341:1, 342:20, 352:5, 355:8, 355:17  <b>MEMBERS</b> [2] - 1:13, 1:22  <b>membrane</b> [11] - 64:17, 64:18, 64:20, 66:6, 67:17, 68:17, 72:9, 72:11, 74:22, 75:20  <b>mention</b> [8] - 135:9, 262:20, 264:18, 281:17, 287:23,</p>	<p>290:12, 341:13, 362:10  <b>mentioned</b> [31] - 37:11, 38:5, 40:19, 91:22, 95:16, 97:3, 99:4, 100:14, 105:3, 126:19, 145:9, 158:25, 165:23, 168:8, 168:9, 169:5, 192:5, 198:3, 208:7, 220:18, 224:16, 245:7, 260:3, 264:9, 287:13, 288:19, 315:7, 337:15, 362:4  <b>MERC</b> [6] - 327:7, 327:9, 327:10, 327:12, 327:15, 337:18  <b>mercury</b> [2] - 351:18, 352:11  <b>merge</b> [1] - 316:18  <b>merged</b> [1] - 103:19  <b>mess</b> [1] - 320:3  <b>met</b> [6] - 28:12, 61:12, 102:1, 108:23, 108:24, 226:8  <b>metabolic</b> [1] - 275:22  <b>metabolize</b> [1] - 316:24  <b>metabolized</b> [1] - 316:22  <b>metal</b> [4] - 24:15, 173:17, 174:13, 379:12  <b>metals</b> [8] - 167:20, 167:23, 222:2, 222:16, 224:3, 264:16, 295:14, 302:22  <b>meter</b> [2] - 144:16, 199:3  <b>meters</b> [1] - 238:20  <b>methane</b> [10] - 123:16, 125:3, 197:22, 198:17, 198:24, 199:6, 199:13, 199:14, 199:16, 311:16  <b>method</b> [4] - 28:1, 94:12, 96:7, 233:11  <b>methodologies</b> [1] - 211:21  <b>Methodology</b> [5] - 96:3, 245:1, 245:7, 245:15, 246:19  <b>methodology</b> [4] - 96:3, 96:5, 245:1, 245:8  <b>methods</b> [8] - 20:22,</p>	<p>21:22, 27:21, 52:16, 92:18, 191:24, 192:3  <b>metric</b> [6] - 143:24, 144:3, 144:10, 144:18, 210:5  <b>metrics</b> [3] - 143:23, 191:8, 329:12  <b>MGD</b> [1] - 279:4  <b>Michael</b> [3] - 130:17, 184:19, 365:7  <b>Michaud</b> [2] - 378:17, 380:24  <b>Michigan</b> [1] - 183:15  <b>micro</b> [1] - 323:11  <b>microbiology</b> [1] - 9:7  <b>microphone</b> [2] - 131:14, 204:5  <b>mid</b> [1] - 10:4  <b>midcoast</b> [1] - 301:18  <b>middle</b> [6] - 62:21, 99:20, 99:21, 99:23, 183:16, 361:12  <b>Middle</b> [1] - 351:16  <b>might</b> [18] - 14:13, 47:4, 137:2, 144:8, 160:17, 167:4, 213:12, 236:16, 236:21, 253:3, 253:7, 274:20, 275:16, 310:19, 315:14, 316:2, 319:9, 383:12  <b>migrate</b> [3] - 46:16, 63:2, 180:15  <b>migrates</b> [1] - 181:20  <b>migrating</b> [1] - 216:1  <b>migration</b> [4] - 39:24, 40:11, 59:6, 183:20  <b>Mike</b> [26] - 8:19, 8:21, 9:6, 9:11, 9:12, 44:5, 44:12, 45:3, 48:8, 48:10, 48:17, 48:24, 49:1, 90:19, 97:15, 97:20, 98:13, 99:3, 179:4, 233:16, 233:18, 247:23, 312:20, 313:24, 314:1  <b>mike</b> [1] - 175:3  <b>mil</b> [3] - 235:22, 235:24  <b>mile</b> [7] - 35:8, 47:5, 47:6, 309:20, 361:8, 361:17  <b>miles</b> [12] - 11:14, 47:8, 112:18, 112:19, 112:23, 303:5, 304:7, 304:11, 304:12, 320:8, 381:8</p>	<p><b>Milford</b> [6] - 318:10, 318:18, 351:11, 365:15, 365:18, 368:8  <b>Mill</b> [2] - 135:25, 361:16  <b>mill</b> [15] - 136:5, 169:25, 257:22, 279:20, 334:7, 335:12, 356:5, 357:24, 365:18, 368:18, 368:19, 368:20, 368:24, 368:25  <b>mill's</b> [3] - 170:4, 192:21, 334:13  <b>Milligan</b> [1] - 365:8  <b>milligrams</b> [2] - 357:5, 357:8  <b>Millinocket</b> [3] - 9:23, 10:1, 10:2  <b>million</b> [27] - 2:9, 11:19, 11:21, 16:4, 16:10, 18:7, 52:9, 53:4, 114:18, 115:4, 134:12, 137:23, 149:25, 183:18, 254:6, 254:7, 279:2, 279:5, 279:11, 279:23, 280:1, 280:2, 284:11, 289:21, 341:16, 341:18, 377:16  <b>millions</b> [3] - 267:9, 321:9, 336:6  <b>mills</b> [2] - 150:24, 351:14  <b>Mills</b> [1] - 10:1  <b>mils</b> [2] - 235:25, 236:2  <b>minable</b> [1] - 58:6  <b>mind</b> [5] - 31:4, 145:5, 212:24, 370:14, 370:18  <b>mine</b> [2] - 250:11, 299:22  <b>minimization</b> [5] - 92:2, 97:14, 98:13, 120:25, 121:22  <b>minimize</b> [14] - 52:24, 58:6, 66:19, 97:18, 98:1, 98:11, 98:20, 113:7, 119:19, 121:16, 129:17, 147:9, 163:3, 191:12  <b>minimized</b> [1] - 377:19  <b>minimizes</b> [2] - 52:18, 377:10  <b>minimizing</b> [5] -</p>
--	--	---	--	--

20:13, 28:22, 98:24, 122:17, 191:13 <b>minimum</b> [16] - 32:14, 86:1, 86:7, 102:24, 103:2, 104:7, 111:16, 112:8, 123:22, 128:14, 198:5, 203:23, 208:14, 208:15, 219:12, 220:12 <b>mining</b> [1] - 355:10 <b>minion</b> [1] - 322:15 <b>minor</b> [1] - 91:4 <b>minus</b> [3] - 35:24, 69:19, 71:21 <b>minute</b> [22] - 38:5, 58:12, 75:9, 90:20, 104:5, 141:10, 158:24, 168:12, 178:22, 178:25, 288:5, 292:7, 318:5, 327:21, 339:2, 340:21, 347:1, 353:16, 353:17, 354:19, 356:22 <b>minutes</b> [10] - 40:19, 174:24, 175:2, 248:7, 249:10, 283:3, 318:7, 340:21, 354:4, 361:5 <b>miscellaneous</b> [1] - 26:25 <b>miserably</b> [1] - 336:20 <b>misidentify</b> [1] - 259:1 <b>misleading</b> [2] - 274:15, 332:9 <b>missed</b> [1] - 360:22 <b>missing</b> [1] - 166:18 <b>misspeak</b> [1] - 234:9 <b>misspoke</b> [1] - 234:5 <b>misunderstanding</b> [1] - 174:23 <b>misuse</b> [1] - 268:4 <b>mitigate</b> [1] - 239:11 <b>mitigated</b> [1] - 317:25 <b>mitigation</b> [7] - 91:10, 91:18, 92:5, 101:21, 101:24, 102:7, 204:19 <b>mix</b> [7] - 105:4, 105:23, 106:12, 107:20, 146:20, 146:22, 246:10 <b>mixed</b> [3] - 295:15, 323:23, 334:15 <b>mobile</b> [2] - 144:18, 232:19 <b>mobilize</b> [1] - 62:5 <b>model</b> [6] - 39:18, 40:10, 79:13,	229:22, 230:17, 373:20 <b>model's</b> [1] - 229:25 <b>modeling</b> [8] - 84:25, 117:17, 179:9, 180:11, 225:15, 225:21, 229:20, 230:3 <b>models</b> [1] - 269:17 <b>Modely</b> [2] - 363:11, 365:7 <b>modern</b> [1] - 302:19 <b>modest</b> [1] - 295:2 <b>modify</b> [4] - 52:20, 88:18, 98:6, 157:18 <b>moment</b> [1] - 170:11 <b>money</b> [10] - 10:22, 149:4, 152:5, 160:2, 293:25, 302:4, 309:22, 320:22, 322:3, 366:25 <b>monitor</b> [17] - 40:23, 45:14, 46:7, 57:18, 120:4, 122:15, 122:21, 122:22, 123:12, 125:21, 190:2, 199:4, 212:10, 216:7, 233:21, 241:8 <b>monitorable</b> [1] - 57:19 <b>monitored</b> [7] - 30:4, 31:3, 45:6, 46:19, 57:21, 123:13, 208:24 <b>monitoring</b> [43] - 30:13, 32:8, 32:10, 37:16, 40:25, 42:10, 44:18, 44:24, 44:25, 45:11, 45:13, 45:20, 45:21, 91:12, 120:8, 122:19, 123:20, 123:22, 123:23, 124:1, 125:2, 125:6, 125:15, 181:12, 190:19, 191:2, 191:5, 199:2, 214:9, 214:10, 216:7, 230:8, 231:1, 231:3, 231:13, 232:20, 232:23, 235:16, 247:16, 247:19, 287:6 <b>monitors</b> [9] - 125:8, 125:12, 125:18, 126:1, 198:17, 238:15, 239:1, 239:2, 239:14 <b>monstrosity</b> [1] - 321:8	<b>month</b> [3] - 128:25, 263:14, 351:21 <b>month's</b> [1] - 12:23 <b>monthly</b> [15] - 12:21, 13:4, 13:6, 117:7, 123:22, 125:23, 128:19, 131:17, 131:25, 137:22, 198:5, 198:11, 209:15, 244:20, 278:25 <b>months</b> [14] - 17:10, 50:17, 77:10, 80:17, 121:4, 154:19, 228:2, 228:7, 228:9, 228:16, 228:17, 229:7, 229:18, 298:18 <b>moot</b> [1] - 136:1 <b>Moreover</b> [1] - 345:16 <b>morning</b> [28] - 2:5, 4:23, 5:5, 6:21, 7:11, 8:15, 8:16, 9:13, 19:3, 19:4, 29:22, 49:3, 91:21, 113:13, 114:5, 115:25, 149:7, 178:11, 188:12, 190:6, 193:1, 233:19, 234:2, 286:8, 364:9, 385:10, 385:11 <b>Morrisette</b> [2] - 3:13, 285:8 <b>Morrison</b> [2] - 355:7, 355:13 <b>MORRISON</b> [4] - 355:8, 355:15, 357:19, 357:21 <b>most</b> [30] - 9:3, 22:3, 36:16, 53:18, 97:4, 123:3, 150:22, 169:12, 200:22, 202:15, 202:18, 203:11, 203:12, 211:25, 212:19, 227:6, 232:19, 232:25, 237:2, 238:24, 246:2, 254:2, 257:8, 266:8, 266:11, 291:2, 307:13, 337:18, 345:6, 361:23 <b>mostly</b> [2] - 146:1, 294:7 <b>motorboating</b> [1] - 366:3 <b>MOU</b> [1] - 12:10 <b>Mount</b> [1] - 313:2 <b>mountain</b> [2] - 321:21, 355:21	<b>mouth</b> [1] - 302:4 <b>move</b> [21] - 35:19, 36:3, 37:3, 37:8, 39:6, 40:4, 41:13, 73:22, 147:8, 163:6, 230:18, 239:2, 239:8, 280:6, 287:21, 288:12, 292:4, 293:3, 294:23, 296:17, 354:25 <b>moved</b> [6] - 5:3, 34:10, 77:15, 343:16, 361:13, 377:14 <b>movement</b> [8] - 31:1, 32:12, 35:17, 37:12, 37:15, 37:18, 40:9, 226:6 <b>moves</b> [10] - 37:8, 37:20, 37:23, 37:24, 38:19, 38:24, 39:22, 40:2, 152:16, 181:23 <b>moving</b> [9] - 38:25, 172:22, 181:25, 195:7, 231:4, 311:7, 339:6, 362:24, 366:1 <b>MR</b> [496] - 7:11, 8:15, 9:13, 15:1, 16:17, 16:24, 17:13, 17:17, 17:24, 18:6, 18:12, 29:2, 29:22, 46:22, 46:25, 47:20, 47:22, 48:4, 49:2, 90:24, 91:20, 93:2, 93:5, 93:8, 113:13, 114:5, 116:9, 121:9, 129:22, 130:3, 130:13, 130:16, 131:4, 131:5, 131:8, 131:16, 131:25, 132:3, 132:10, 132:14, 132:19, 132:23, 132:25, 133:4, 133:8, 133:11, 133:12, 133:16, 133:20, 133:22, 133:23, 133:24, 134:6, 134:9, 134:18, 134:22, 134:24, 134:25, 135:4, 135:5, 135:13, 135:17, 135:21, 135:23, 136:3, 136:6, 136:10, 136:15, 136:23, 136:25, 137:4, 137:6, 137:10, 137:11, 137:16,	137:21, 138:2, 138:4, 138:9, 138:10, 138:13, 138:18, 139:2, 139:7, 140:10, 140:14, 140:21, 140:25, 141:4, 141:8, 141:10, 141:13, 141:16, 142:3, 142:10, 142:22, 143:1, 143:12, 143:14, 143:17, 144:20, 144:23, 145:2, 147:11, 147:19, 148:5, 149:20, 150:10, 159:3, 159:6, 159:13, 159:16, 160:1, 160:4, 161:1, 161:14, 162:7, 162:12, 166:7, 166:18, 166:25, 167:10, 168:5, 168:7, 168:14, 169:7, 169:10, 169:19, 170:9, 170:20, 172:9, 172:25, 174:22, 175:9, 175:15, 175:21, 176:13, 177:2, 177:11, 177:19, 177:22, 178:4, 178:7, 178:9, 178:15, 178:20, 179:7, 179:17, 181:3, 181:10, 181:14, 181:19, 182:2, 182:7, 182:17, 182:20, 183:2, 183:14, 183:22, 183:25, 184:2, 184:8, 184:18, 185:2, 185:6, 185:13, 185:21, 186:1, 186:5, 186:10, 186:13, 186:18, 186:20, 186:25, 187:2, 187:6, 187:15, 187:18, 188:1, 188:5, 188:12, 188:15, 188:16, 188:18, 188:22, 188:24, 189:2, 189:9, 189:19, 190:4, 191:3, 191:23, 192:4, 192:13, 192:18, 192:23, 192:25, 193:7,
---	--	---	--	--

<p>193:12, 193:16, 193:17, 193:18, 193:21, 193:23, 194:3, 194:13, 194:23, 195:13, 195:16, 196:19, 196:23, 197:18, 197:20, 197:21, 197:23, 197:25, 198:3, 198:17, 198:22, 199:15, 199:19, 200:5, 200:8, 200:11, 200:20, 201:6, 201:9, 201:13, 201:16, 201:19, 202:2, 202:8, 202:17, 203:6, 203:10, 203:14, 203:18, 203:19, 203:22, 204:1, 204:7, 204:22, 205:20, 206:24, 207:3, 207:10, 208:5, 208:16, 209:24, 210:16, 211:8, 211:14, 212:3, 212:5, 212:6, 212:9, 213:2, 213:4, 213:11, 214:2, 214:7, 214:17, 214:21, 215:9, 215:14, 216:3, 216:5, 216:10, 216:16, 216:17, 216:19, 217:16, 217:23, 217:25, 218:5, 219:10, 219:16, 220:1, 220:3, 220:15, 220:25, 223:22, 223:24, 224:12, 224:14, 224:23, 224:25, 225:1, 225:5, 225:8, 225:17, 225:19, 226:2, 227:3, 227:6, 227:13, 228:1, 229:19, 230:10, 231:14, 232:13, 233:14, 233:15, 233:24, 234:5, 234:7, 234:8, 234:10, 234:13, 234:23, 235:5, 235:15, 235:19, 235:20, 235:24, 236:4, 236:12, 236:17, 237:19, 237:22, 238:14, 238:20, 239:13,</p>	<p>239:18, 240:3, 240:7, 241:9, 241:13, 241:14, 241:18, 241:21, 242:3, 243:18, 244:24, 245:6, 247:8, 247:11, 247:20, 248:5, 248:9, 248:11, 248:14, 248:16, 248:20, 249:6, 249:20, 249:24, 250:1, 250:2, 250:4, 250:24, 254:21, 255:2, 255:11, 255:18, 255:25, 256:4, 256:9, 256:12, 256:15, 256:19, 256:25, 261:19, 261:24, 262:1, 262:7, 264:3, 264:9, 264:14, 264:15, 264:18, 265:6, 265:10, 265:15, 265:18, 265:25, 270:7, 270:13, 270:21, 270:23, 271:1, 271:10, 271:16, 271:24, 271:25, 272:3, 272:6, 272:11, 273:17, 273:19, 273:20, 274:1, 274:5, 276:3, 276:11, 276:12, 276:13, 276:16, 276:18, 276:19, 276:25, 277:2, 277:6, 277:8, 277:15, 277:22, 278:4, 278:6, 278:7, 278:15, 278:18, 278:19, 278:24, 278:25, 279:2, 279:16, 279:21, 280:6, 280:11, 280:14, 280:15, 280:22, 280:24, 281:2, 281:4, 281:7, 281:9, 281:11, 281:14, 281:16, 281:21, 281:24, 281:25, 282:3, 282:5, 282:8, 282:14, 282:17, 282:19, 282:23, 293:7, 293:10, 297:18, 299:20, 299:22, 299:24, 300:17, 300:19, 300:21, 300:25,</p>	<p>301:4, 304:16, 305:3, 305:9, 305:11, 305:12, 305:13, 308:17, 308:20, 309:10, 312:15, 312:21, 313:25, 320:5, 325:13, 328:10, 332:20, 335:5, 339:3, 340:6, 340:25, 347:21, 348:14, 348:16, 355:8, 355:15, 357:19, 357:21, 358:15, 358:18, 360:22, 361:1, 363:7, 363:9, 363:12, 365:10, 365:13, 369:8, 370:11, 372:10, 375:5, 375:9, 377:5, 378:18, 385:25, 386:4 <b>MRC</b> [3] - 337:24, 338:16, 338:21 <b>MRSA</b> [3] - 3:17, 285:16, 332:4 <b>MS</b> [98] - 6:21, 17:2, 19:3, 19:5, 130:15, 139:1, 139:4, 139:17, 140:12, 140:18, 140:23, 141:2, 141:6, 141:22, 142:6, 142:18, 142:25, 143:4, 143:13, 145:8, 145:14, 145:22, 145:25, 146:17, 148:22, 148:24, 151:5, 152:7, 152:18, 152:20, 152:25, 153:1, 153:3, 153:5, 153:8, 153:9, 153:19, 156:5, 156:7, 156:8, 157:2, 158:7, 158:21, 160:24, 162:16, 163:5, 163:10, 164:2, 164:5, 164:19, 165:11, 165:15, 165:21, 166:4, 166:5, 166:17, 166:19, 167:1, 167:12, 169:23, 170:13, 172:19, 173:3, 173:11, 174:18, 175:12, 175:19, 176:3, 176:21, 177:10, 177:13,</p>	<p>178:2, 178:5, 178:8, 178:12, 178:18, 210:8, 211:5, 211:9, 212:1, 241:22, 243:7, 244:14, 288:18, 298:11, 314:21, 317:19, 318:8, 324:6, 332:23, 343:12, 345:24, 347:2, 350:15, 350:20, 353:18, 380:25, 385:14 <b>MSGP</b> [1] - 259:6 <b>MSW</b> [25] - 138:19, 139:19, 139:21, 140:20, 146:24, 147:2, 147:9, 147:12, 147:19, 147:22, 148:1, 148:6, 148:11, 148:12, 148:17, 154:24, 172:11, 172:16, 326:19, 326:25, 327:9, 327:15, 327:19, 329:2, 334:18 <b>Mt</b> [1] - 313:1 <b>multi</b> [1] - 25:15 <b>multi-fuel</b> [1] - 25:15 <b>multiple</b> [7] - 48:18, 97:20, 120:8, 125:3, 125:7, 229:5, 253:10 <b>municipal</b> [21] - 11:15, 15:15, 15:18, 23:12, 23:14, 24:4, 24:5, 24:22, 25:14, 26:11, 126:16, 139:9, 140:14, 145:15, 145:20, 165:18, 301:16, 321:21, 325:1, 335:16, 373:25 <b>municipalities</b> [5] - 3:25, 23:6, 285:24, 373:14 <b>municipality</b> [2] - 11:11, 15:9 <b>must</b> [9] - 5:22, 22:10, 56:2, 190:2, 323:24, 324:24, 325:2, 352:12, 354:3 <b>mutual</b> [3] - 249:24, 250:4, 344:15</p>	<p><b>name</b> [40] - 2:17, 6:22, 130:16, 268:25, 284:13, 287:19, 287:20, 287:23, 288:11, 288:18, 292:24, 292:25, 293:13, 298:11, 299:24, 301:5, 305:3, 308:20, 309:11, 312:21, 314:1, 314:21, 318:9, 320:3, 325:13, 328:12, 333:2, 335:5, 341:1, 343:15, 347:21, 350:17, 361:1, 363:13, 372:12, 375:8, 375:10, 376:25, 377:6, 377:9 <b>names</b> [2] - 351:12, 385:3 <b>narrowed</b> [1] - 51:20 <b>NASA</b> [1] - 268:24 <b>Nation</b> [6] - 168:25, 315:13, 319:17, 350:24, 352:5, 352:17 <b>National</b> [1] - 256:5 <b>national</b> [1] - 346:18 <b>nationally</b> [1] - 266:2 <b>nationally- recognized</b> [1] - 266:2 <b>nationwide</b> [1] - 271:16 <b>native</b> [5] - 58:22, 70:17, 70:22, 253:23, 266:4 <b>Native</b> [2] - 254:13, 347:9 <b>natural</b> [22] - 9:9, 91:7, 91:16, 91:22, 92:8, 98:10, 113:4, 183:9, 202:10, 246:15, 251:23, 251:24, 252:1, 287:7, 316:25, 320:18, 320:25, 324:20, 344:18, 344:21, 346:4, 370:16 <b>Natural</b> [8] - 2:15, 49:12, 50:20, 92:10, 286:19, 289:23, 291:18, 328:13 <b>naturally</b> [3] - 94:20, 95:22, 107:8 <b>naturally-occurring</b> [1] - 107:8 <b>nature</b> [7] - 35:11, 37:7, 45:18, 46:13,</p>
<b>N</b>				
<p><b>Nadder</b> [1] - 365:8 <b>nail</b> [3] - 67:11, 368:17, 368:21</p>				

71:3, 254:17, 254:18 <b>Naval</b> [1] - 374:10 <b>near</b> [7] - 36:9, 274:18, 313:18, 330:8, 336:8, 362:3, 385:13 <b>Near</b> [1] - 348:23 <b>nearby</b> [6] - 32:21, 43:4, 44:1, 119:7, 274:22, 313:21 <b>nearest</b> [4] - 110:11, 112:9, 112:15, 125:21 <b>nearly</b> [4] - 27:22, 36:17, 266:3, 353:12 <b>necessarily</b> [1] - 147:5 <b>necessary</b> [7] - 117:25, 127:14, 135:7, 216:8, 301:14, 331:9, 371:4 <b>need</b> [48] - 20:1, 21:2, 80:17, 94:20, 114:24, 156:10, 204:8, 215:21, 224:7, 225:17, 228:10, 233:8, 234:11, 240:10, 240:11, 242:4, 243:24, 253:14, 253:15, 253:19, 263:15, 301:11, 302:6, 302:15, 303:14, 307:21, 309:3, 309:5, 310:2, 310:25, 312:6, 313:13, 313:19, 319:14, 338:14, 344:1, 349:22, 350:2, 354:8, 359:16, 359:25, 360:1, 364:22, 372:5, 373:17, 374:25, 381:2, 381:22 <b>needed</b> [19] - 13:19, 41:21, 50:17, 50:18, 51:5, 52:9, 79:19, 86:9, 92:20, 103:10, 170:15, 202:5, 207:21, 215:16, 244:12, 307:4, 339:14, 372:2 <b>needing</b> [1] - 339:7 <b>needle</b> [1] - 294:23 <b>needs</b> [23] - 83:17, 114:14, 124:8, 163:23, 217:12, 222:8, 223:19, 224:10, 309:16, 309:25, 310:18,	312:5, 313:14, 319:15, 325:20, 331:9, 331:24, 337:11, 349:17, 368:14, 369:15, 371:6, 372:7 <b>negotiated</b> [2] - 10:24, 11:13 <b>neighbor</b> [3] - 197:7, 213:1, 367:4 <b>neighbors</b> [2] - 121:17, 352:17 <b>Nellie</b> [1] - 383:21 <b>nesting</b> [1] - 267:13 <b>nests</b> [1] - 252:22 <b>net</b> [5] - 66:4, 66:12, 68:14, 163:17, 373:18 <b>network</b> [6] - 115:23, 116:3, 122:20, 129:11, 231:2, 251:3 <b>neurotoxin</b> [1] - 333:7 <b>Neuse</b> [1] - 353:7 <b>neutral</b> [3] - 10:21, 149:2, 149:17 <b>neutralize</b> [2] - 121:14, 356:21 <b>never</b> [13] - 42:1, 302:14, 333:5, 334:15, 335:13, 335:24, 350:13, 359:16, 360:7, 362:2, 381:9, 381:10, 382:10 <b>New</b> [13] - 171:17, 173:9, 173:12, 293:18, 305:15, 305:18, 306:12, 306:16, 306:20, 327:8, 332:11, 347:24 <b>new</b> [37] - 9:20, 15:19, 19:15, 19:18, 23:1, 54:16, 83:4, 84:17, 88:12, 88:17, 92:25, 123:19, 174:17, 198:4, 199:9, 211:10, 211:16, 217:1, 224:21, 224:23, 224:25, 225:21, 254:23, 306:3, 306:19, 306:25, 327:4, 327:6, 336:2, 338:19, 365:2, 372:18, 372:19, 374:8, 374:13, 384:3 <b>newer</b> [1] - 376:3 <b>newly</b> [2] - 25:6, 266:25	<b>newly-accessible</b> [1] - 266:25 <b>newly-constructed</b> [1] - 25:6 <b>Newport</b> [1] - 194:16 <b>News</b> [2] - 3:22, 285:21 <b>NEWSME</b> [11] - 4:6, 7:16, 9:10, 113:18, 114:8, 132:5, 132:7, 173:8, 176:13, 286:5, 289:9 <b>newspaper</b> [1] - 201:21 <b>Next</b> [4] - 136:8, 312:17, 347:19, 375:6 <b>next</b> [55] - 2:21, 2:22, 15:3, 18:12, 29:2, 34:6, 44:5, 47:22, 48:4, 63:25, 64:5, 72:4, 72:21, 77:15, 77:17, 77:18, 90:24, 93:23, 94:4, 95:5, 95:25, 99:10, 106:21, 110:17, 135:7, 136:13, 138:14, 144:22, 166:25, 170:16, 182:16, 196:14, 220:15, 229:19, 236:4, 262:21, 263:10, 270:2, 270:18, 297:19, 298:8, 299:17, 299:18, 300:16, 304:10, 305:1, 317:2, 318:22, 332:21, 355:6, 356:3, 370:10, 372:9, 376:24, 378:8 <b>nice</b> [6] - 33:4, 42:2, 87:3, 168:1, 250:16, 369:24 <b>nicely</b> [1] - 47:10 <b>night</b> [4] - 321:4, 354:5, 364:7, 364:8 <b>NIMBY</b> [1] - 306:8 <b>nine</b> [1] - 137:23 <b>nineties</b> [3] - 10:4, 51:16, 372:16 <b>nitrogen</b> [1] - 199:21 <b>no-build</b> [1] - 50:22 <b>NOAA</b> [1] - 256:5 <b>NOAA's</b> [1] - 352:20 <b>nobody</b> [3] - 137:4, 137:6, 364:7 <b>noise</b> [16] - 8:6, 117:13, 117:14, 118:11, 129:13,	143:22, 143:24, 143:25, 144:5, 144:7, 210:2, 210:4, 269:12, 287:6, 311:22, 354:1 <b>non</b> [2] - 258:7, 304:3 <b>non-impact</b> [1] - 258:7 <b>non-processables</b> [1] - 304:3 <b>none</b> [8] - 43:6, 84:11, 93:12, 100:6, 109:14, 172:23, 181:17, 310:23 <b>nonhazardous</b> [4] - 126:6, 126:23, 176:5, 176:7 <b>nonimpact</b> [2] - 259:22, 260:10 <b>nonprofit</b> [1] - 347:24 <b>nonscientific</b> [1] - 261:17 <b>nonsensical</b> [1] - 332:16 <b>noon</b> [1] - 7:6 <b>noontime</b> [1] - 385:12 <b>normal</b> [2] - 213:8, 294:12 <b>normally</b> [1] - 47:1 <b>Norridgewock</b> [4] - 135:9, 171:18, 171:19, 314:7 <b>north</b> [10] - 31:9, 31:13, 50:5, 103:24, 104:16, 106:5, 142:1, 239:7, 290:13 <b>North</b> [3] - 18:23, 113:17, 353:5 <b>Northeast</b> [1] - 194:2 <b>northeast</b> [4] - 36:22, 47:13, 47:16, 306:16 <b>northerly</b> [1] - 230:1 <b>Northern</b> [1] - 10:1 <b>northern</b> [5] - 229:24, 230:5, 301:17, 318:18, 361:3 <b>northwest</b> [3] - 47:15, 47:16, 230:19 <b>Norwich</b> [1] - 18:20 <b>nosed</b> [4] - 92:7, 112:10, 252:10, 263:6 <b>notably</b> [1] - 345:6 <b>note</b> [8] - 5:11, 115:11, 116:12, 166:6, 290:14, 296:21, 306:10, 329:21 <b>noted</b> [8] - 24:21, 26:15, 170:14, 173:4, 231:19,	241:23, 244:16, 272:23 <b>noteworthy</b> [1] - 261:6 <b>nothing</b> [10] - 6:14, 68:5, 75:8, 134:7, 260:11, 281:3, 282:5, 282:8, 298:4, 377:24 <b>notice</b> [9] - 3:21, 3:23, 198:18, 274:5, 277:18, 285:20, 285:22, 345:11, 345:12 <b>noticeably</b> [1] - 121:13 <b>noticed</b> [4] - 22:5, 189:21, 203:15, 276:8 <b>notification</b> [1] - 125:16 <b>notified</b> [3] - 124:5, 128:3, 209:4 <b>notifies</b> [1] - 125:10 <b>notorious</b> [1] - 76:13 <b>November</b> [1] - 373:24 <b>NRCM</b> [2] - 328:18, 331:19 <b>NRPA</b> [3] - 90:9, 93:17, 96:4 <b>nuisance</b> [14] - 329:20, 329:21, 330:1, 330:6, 330:10, 330:12, 330:14, 330:17, 354:2, 354:12, 370:6, 370:7, 378:10, 384:8 <b>nuisances</b> [2] - 381:7, 381:10 <b>number</b> [53] - 2:14, 2:16, 8:21, 13:2, 16:5, 16:13, 18:10, 24:12, 46:11, 49:18, 55:1, 55:8, 57:3, 68:1, 69:23, 72:21, 74:15, 76:14, 79:21, 103:21, 156:12, 158:11, 167:18, 168:9, 172:18, 172:19, 172:24, 187:13, 197:20, 202:2, 202:14, 207:6, 207:15, 209:4, 219:22, 219:24, 222:21, 223:1, 223:5, 223:11, 239:16, 243:12, 245:17, 246:21, 246:23, 277:25, 278:22,
--	--	--	---	--

<p>288:1, 294:24, 327:21, 333:20, 342:1, 371:20 <b>Number</b> [1] - 334:17 <b>numbers</b> [6] - 88:14, 141:20, 148:21, 189:15, 279:17, 280:4 <b>numerical</b> [1] - 153:11 <b>numerous</b> [3] - 23:23, 25:11, 336:8 <b>nurse</b> [1] - 382:8 <b>nursery</b> [1] - 253:18 <b>nursing</b> [1] - 351:21 <b>nutrient</b> [3] - 26:18, 96:21, 105:20 <b>nutrient-containing</b> [1] - 26:18 <b>nutrients</b> [1] - 316:13</p>	<p><b>OBW</b> [16] - 154:3, 155:22, 156:1, 156:16, 156:20, 157:16, 160:7, 160:21, 161:24, 162:4, 162:17, 162:23, 163:12, 173:9, 296:8, 325:25 <b>occasional</b> [1] - 369:11 <b>occasionally</b> [1] - 151:15 <b>occupied</b> [1] - 16:7 <b>occur</b> [10] - 14:18, 79:14, 82:11, 180:24, 181:13, 215:5, 263:3, 263:9, 271:21, 336:25 <b>occurred</b> [2] - 269:16, 378:3 <b>occurrence</b> [1] - 189:21 <b>occurring</b> [9] - 94:20, 95:23, 107:8, 120:3, 149:8, 184:10, 228:20, 257:17, 272:13 <b>occurs</b> [3] - 149:15, 252:21, 258:18 <b>ocean</b> [2] - 253:19, 321:20 <b>oceanic</b> [1] - 269:21 <b>Oceanside</b> [1] - 305:5 <b>october</b> [1] - 1:9 <b>OCTOBER</b> [1] - 386:7 <b>October</b> [5] - 2:3, 3:22, 109:18, 285:21, 355:19 <b>odiferous</b> [2] - 121:5, 121:13 <b>odor</b> [35] - 25:21, 119:17, 119:18, 119:20, 120:2, 120:13, 120:15, 120:16, 120:17, 121:14, 121:22, 122:17, 124:14, 124:17, 125:19, 129:17, 144:11, 196:20, 197:1, 197:13, 197:14, 197:16, 221:13, 238:18, 239:11, 239:12, 243:9, 243:10, 243:12, 243:14, 244:1, 335:16, 366:21, 366:25, 377:19 <b>odor-causing</b> [1] - 124:14</p>	<p><b>odor-related</b> [2] - 243:10, 243:14 <b>odors</b> [13] - 119:16, 119:19, 120:1, 120:5, 120:10, 120:19, 120:20, 120:23, 121:1, 121:16, 121:19, 122:12, 197:4 <b>OF</b> [5] - 1:1, 1:2, 1:5, 1:5, 1:6 <b>OFF</b> [4] - 90:22, 179:1, 249:14, 354:21 <b>offer</b> [5] - 196:10, 322:19, 350:24, 368:1, 383:17 <b>office</b> [5] - 8:24, 54:21, 91:14, 216:24, 356:24 <b>Office</b> [5] - 10:13, 11:24, 12:1, 327:16, 342:12 <b>officer</b> [2] - 2:19, 284:15 <b>offloaded</b> [1] - 194:25 <b>offloading</b> [2] - 127:18, 355:22 <b>offs</b> [1] - 167:19 <b>offset</b> [6] - 59:10, 59:13, 210:18, 210:19, 210:20, 210:22 <b>offsets</b> [1] - 44:10 <b>offsite</b> [13] - 46:9, 120:2, 120:9, 125:7, 125:18, 125:21, 126:1, 150:4, 226:3, 238:10, 238:15, 239:12, 239:15 <b>often</b> [4] - 169:7, 198:8, 198:11, 261:17 <b>oftentimes</b> [1] - 373:16 <b>oil</b> [3] - 26:24, 138:21, 373:15 <b>Old</b> [49] - 2:10, 4:7, 5:4, 11:12, 11:20, 13:7, 51:17, 108:11, 108:12, 108:17, 116:25, 125:14, 131:18, 134:10, 134:19, 135:25, 136:5, 136:9, 168:24, 169:25, 170:4, 179:14, 192:21, 200:6, 244:20, 257:22, 257:23, 274:7, 276:5, 277:24,</p>	<p>278:17, 282:12, 284:12, 286:10, 289:8, 334:13, 335:7, 335:10, 335:12, 335:21, 340:15, 351:10, 351:15, 351:16, 356:6, 356:23, 365:19, 368:17, 368:23 <b>old</b> [11] - 76:9, 95:19, 214:24, 224:1, 272:12, 305:18, 356:5, 362:5, 366:15, 368:10, 368:12 <b>older</b> [1] - 20:25 <b>Oliver</b> [1] - 109:11 <b>OLTARZEWSKI</b> [1] - 324:6 <b>Oltarzewski</b> [2] - 320:3, 324:7 <b>omission</b> [1] - 268:9 <b>once</b> [42] - 71:17, 77:14, 78:2, 81:24, 82:2, 89:19, 89:20, 97:17, 98:12, 112:16, 121:3, 123:10, 124:9, 127:4, 127:17, 169:12, 202:5, 206:12, 208:17, 209:18, 214:13, 215:20, 215:23, 222:10, 222:11, 222:24, 227:23, 228:7, 228:20, 230:2, 271:17, 271:18, 271:20, 272:14, 274:25, 275:1, 299:12, 346:9, 379:8, 379:17 <b>one</b> [241] - 9:22, 11:21, 14:1, 14:5, 14:11, 17:2, 18:6, 19:18, 19:24, 30:18, 31:21, 33:17, 36:21, 37:13, 38:18, 38:25, 39:19, 39:23, 40:13, 41:3, 42:2, 42:8, 44:22, 46:12, 46:22, 47:3, 47:5, 47:6, 47:8, 50:21, 52:25, 53:7, 53:11, 53:12, 53:17, 57:9, 57:21, 58:15, 58:21, 60:7, 60:13, 62:13, 64:4, 65:6, 66:8, 68:2, 68:24, 69:17, 69:21, 69:23, 70:23, 71:22, 74:14,</p>	<p>74:22, 75:14, 76:5, 77:13, 78:11, 80:20, 80:25, 83:3, 84:13, 84:15, 84:18, 84:19, 85:22, 87:2, 87:6, 87:19, 88:13, 90:1, 90:3, 94:25, 95:17, 95:22, 98:20, 99:8, 99:20, 99:22, 99:23, 100:11, 100:13, 102:4, 102:6, 102:23, 102:25, 103:20, 105:11, 106:4, 106:6, 106:10, 106:14, 106:20, 108:5, 114:6, 119:2, 127:1, 136:15, 137:21, 143:7, 147:5, 150:23, 156:12, 156:19, 157:4, 158:5, 158:8, 160:9, 165:22, 166:25, 167:8, 167:12, 167:17, 168:2, 168:8, 168:24, 169:19, 175:6, 175:24, 175:25, 177:22, 178:12, 178:18, 184:21, 189:16, 190:1, 190:6, 194:7, 194:8, 195:3, 200:11, 201:9, 202:15, 203:10, 205:2, 205:9, 205:15, 207:6, 212:3, 214:21, 216:25, 217:20, 218:8, 220:4, 221:7, 221:9, 221:22, 225:4, 225:14, 229:12, 229:22, 235:24, 236:1, 236:3, 239:6, 239:7, 240:13, 241:19, 242:25, 245:12, 246:21, 247:11, 251:6, 253:3, 253:7, 257:21, 258:4, 258:8, 258:17, 260:6, 267:19, 278:23, 279:14, 288:21, 289:3, 293:17, 293:18, 297:20, 297:23, 298:1, 298:14, 300:13, 306:1, 306:10, 311:12, 313:7, 314:18, 318:5, 321:4,</p>
<b>O</b>				
<p><b>O'Neill</b> [1] - 8:5 <b>object</b> [2] - 204:8, 279:16 <b>objecting</b> [1] - 254:22 <b>Objection</b> [1] - 264:3 <b>objection</b> [4] - 193:16, 193:18, 193:20, 194:10 <b>objective</b> [2] - 30:20, 207:25 <b>objectives</b> [3] - 30:18, 37:13, 267:21 <b>obligated</b> [2] - 26:1, 219:1 <b>obligation</b> [1] - 347:8 <b>obligations</b> [1] - 132:6 <b>observations</b> [1] - 369:17 <b>observe</b> [4] - 89:11, 127:18, 184:16, 184:17 <b>observed</b> [3] - 228:11, 231:25, 269:14 <b>observing</b> [1] - 13:13 <b>obsolete</b> [1] - 274:19 <b>obtained</b> [3] - 82:21, 90:17, 239:16 <b>obtaining</b> [3] - 131:2, 344:24, 345:9 <b>obvious</b> [3] - 57:7, 274:10, 357:16 <b>obviously</b> [13] - 57:10, 57:12, 68:21, 87:24, 88:20, 197:10, 199:8, 231:24, 240:8, 281:19, 346:14, 369:23, 382:1</p>				

<p>323:25, 327:20, 331:2, 333:10, 333:20, 335:23, 336:14, 337:3, 338:2, 338:8, 339:2, 339:8, 339:17, 340:21, 341:12, 341:18, 341:21, 342:1, 342:20, 346:25, 347:1, 348:20, 349:22, 351:20, 351:21, 353:16, 353:17, 354:3, 355:24, 356:13, 356:16, 357:2, 361:21, 365:25, 367:5, 367:12, 368:25, 369:19, 370:1, 374:12, 376:16, 376:21, 380:20, 382:20</p> <p><b>One</b> [1] - 203:14 <b>one-half</b> [1] - 339:8 <b>one-inch</b> [1] - 80:25 <b>one-mile</b> [3] - 47:5, 47:6 <b>one-minute</b> [1] - 340:21 <b>one-quarter</b> [1] - 31:21 <b>one-third</b> [1] - 339:8 <b>one-thousandths</b> [3] - 235:24, 236:1, 236:3 <b>ones</b> [7] - 34:19, 212:24, 232:19, 239:4, 245:13, 256:23, 306:3 <b>Ones</b> [1] - 256:21 <b>ongoing</b> [1] - 301:14 <b>online</b> [5] - 266:7, 286:16, 300:5, 342:21, 374:17 <b>onsite</b> [17] - 51:25, 58:22, 59:5, 63:8, 83:8, 89:11, 125:7, 170:1, 194:24, 202:19, 216:11, 239:1, 239:10, 239:11, 258:21, 367:24 <b>open</b> [15] - 93:20, 199:1, 199:4, 199:11, 200:24, 235:11, 249:12, 253:18, 276:1, 298:22, 298:25, 355:19, 355:23, 363:23, 374:21 <b>opening</b> [1] - 364:17</p>	<p><b>operate</b> [14] - 11:2, 82:18, 115:20, 117:22, 125:8, 129:6, 155:17, 193:13, 301:12, 312:24, 328:5, 363:2, 368:21, 377:7 <b>operated</b> [8] - 24:13, 114:10, 129:3, 129:17, 155:10, 158:6, 313:16, 362:9 <b>operates</b> [6] - 114:8, 128:10, 286:5, 289:10, 325:21, 363:22 <b>operating</b> [21] - 10:24, 11:6, 20:15, 21:3, 57:5, 122:16, 137:20, 146:14, 148:16, 170:6, 182:14, 199:8, 200:24, 232:2, 232:7, 238:11, 294:4, 325:19, 351:14, 363:19, 364:24 <b>Operating</b> [6] - 12:14, 130:25, 133:4, 133:9, 289:11, 337:10 <b>operation</b> [22] - 20:17, 25:9, 82:2, 83:24, 115:17, 117:5, 117:25, 129:4, 150:7, 157:7, 160:11, 182:8, 184:11, 227:25, 242:9, 242:12, 287:4, 290:23, 294:12, 305:8, 363:17, 366:7 <b>operational</b> [8] - 82:19, 114:3, 115:1, 235:1, 239:2, 240:4, 242:6, 303:21 <b>operationally</b> [1] - 239:9 <b>operations</b> [29] - 10:20, 12:12, 18:23, 22:10, 25:19, 48:14, 54:13, 90:17, 90:18, 113:16, 113:19, 113:22, 115:16, 116:11, 116:12, 120:11, 120:18, 122:15, 133:13, 235:15, 308:24, 308:25, 326:11, 365:22, 366:17, 369:13, 375:16,</p>	<p>375:19, 375:22 <b>Operations</b> [3] - 4:6, 7:17, 289:10 <b>operator</b> [18] - 4:6, 7:17, 10:15, 13:15, 67:15, 113:19, 133:21, 149:12, 149:15, 169:25, 197:10, 228:25, 286:5, 299:25, 321:10, 322:2, 331:4, 333:22 <b>operator's</b> [1] - 333:17 <b>operators</b> [6] - 118:12, 127:12, 127:16, 127:18, 127:22, 196:1 <b>opinion</b> [12] - 131:5, 133:6, 175:11, 177:2, 179:15, 180:14, 258:6, 259:2, 280:23, 281:19, 366:10, 368:16 <b>opportunities</b> [4] - 21:20, 25:8, 155:21, 371:13 <b>opportunity</b> [23] - 8:17, 115:3, 119:12, 122:7, 122:9, 158:9, 158:20, 237:17, 287:25, 292:12, 293:11, 296:20, 314:17, 318:9, 320:6, 324:8, 328:15, 347:22, 358:19, 375:10, 377:11, 377:15, 378:19 <b>oppose</b> [2] - 284:6, 347:11 <b>opposed</b> [9] - 35:18, 47:6, 59:25, 287:15, 287:16, 292:22, 315:18, 323:8, 333:3 <b>opposing</b> [1] - 384:16 <b>opposite</b> [1] - 230:6 <b>opposition</b> [8] - 314:17, 328:16, 343:13, 347:19, 348:2, 350:25, 364:16, 370:14 <b>optimal</b> [1] - 275:18 <b>optimistic</b> [1] - 275:5 <b>optimize</b> [1] - 98:14 <b>option</b> [1] - 26:23 <b>options</b> [12] - 27:14, 27:16, 27:18, 101:12, 101:25, 185:16, 186:15,</p>	<p>186:22, 221:9, 304:22, 338:6, 339:18 <b>oral</b> [3] - 262:3, 271:10, 341:7 <b>orange</b> [1] - 104:15 <b>orange/red</b> [1] - 291:15 <b>order</b> [17] - 2:6, 19:21, 33:22, 38:18, 42:16, 114:22, 114:25, 130:6, 217:9, 229:12, 230:25, 247:24, 277:19, 287:21, 317:13, 351:2 <b>orderly</b> [2] - 354:23, 385:5 <b>organic</b> [6] - 58:5, 302:16, 305:21, 339:1, 339:4, 356:21 <b>organics</b> [8] - 165:16, 222:2, 222:3, 302:7, 352:10, 372:14, 372:25, 373:11 <b>Organics</b> [6] - 26:17, 28:7, 164:19, 164:25, 327:8, 373:11 <b>organization</b> [1] - 347:23 <b>orientation</b> [2] - 290:12, 290:16 <b>oriented</b> [3] - 36:18, 36:21, 36:23 <b>original</b> [13] - 104:18, 204:13, 204:15, 204:16, 204:18, 204:24, 226:4, 226:5, 226:11, 254:12, 255:3, 255:21, 266:15 <b>originally</b> [2] - 51:13, 209:25 <b>originate</b> [1] - 164:9 <b>originating</b> [1] - 331:20 <b>origins</b> [1] - 321:2 <b>Orono</b> [1] - 341:2 <b>Orrington</b> [3] - 148:13, 301:7, 372:13 <b>OSA</b> [4] - 132:6, 132:16, 133:12, 136:3 <b>OTHERS</b> [1] - 1:18 <b>otherwise</b> [7] - 21:8, 166:13, 300:12, 301:20, 319:16, 331:23, 370:23</p>	<p><b>ought</b> [2] - 210:3, 300:11 <b>ourselves</b> [4] - 190:21, 190:22, 344:16, 376:15 <b>out-of-state</b> [30] - 12:20, 130:23, 136:19, 137:7, 139:5, 139:18, 140:11, 140:16, 140:19, 140:22, 140:24, 150:20, 201:11, 201:23, 202:4, 294:17, 325:18, 327:17, 331:2, 332:8, 332:17, 334:23, 340:7, 347:5, 349:19, 349:23, 349:25, 350:1, 350:8, 360:3 <b>outage</b> [1] - 139:22 <b>outcome</b> [1] - 260:9 <b>outcomes</b> [1] - 341:9 <b>outdated</b> [1] - 322:24 <b>outer</b> [1] - 313:4 <b>outfall</b> [1] - 357:25 <b>outlet</b> [4] - 15:6, 84:4, 85:8, 151:3 <b>outlets</b> [3] - 163:16, 173:9, 174:14 <b>outlined</b> [7] - 93:25, 103:16, 104:15, 205:2, 278:21, 290:4, 331:14 <b>output</b> [2] - 39:20, 229:25 <b>outright</b> [2] - 264:2, 339:19 <b>outs</b> [1] - 364:2 <b>outside</b> [9] - 43:12, 63:2, 76:9, 98:19, 185:1, 232:22, 332:6, 337:12 <b>outskirts</b> [1] - 368:8 <b>overall</b> [5] - 20:21, 25:18, 181:15, 212:25, 238:18 <b>overburden</b> [1] - 187:10 <b>overburdened</b> [1] - 353:23 <b>overconfidence</b> [1] - 258:6 <b>overfishing</b> [2] - 255:14, 255:19 <b>overflow</b> [1] - 79:7 <b>overlap</b> [1] - 193:10 <b>overlaps</b> [2] - 95:4, 95:14</p>
--	--	---	--	---

<p><b>overlie</b> [1] - 185:22</p> <p><b>overlies</b> [1] - 36:6</p> <p><b>overload</b> [1] - 318:25</p> <p><b>overly</b> [1] - 275:5</p> <p><b>oversaw</b> [1] - 194:1</p> <p><b>overseas</b> [1] - 306:23</p> <p><b>oversee</b> [2] - 62:6, 217:9</p> <p><b>oversight</b> [8] - 12:2, 12:13, 18:15, 108:20, 113:21, 129:19, 220:16, 336:21</p> <p><b>oversize</b> [23] - 26:7, 126:15, 138:21, 153:12, 153:16, 154:16, 154:21, 154:23, 155:3, 155:14, 162:17, 173:6, 173:14, 296:1, 296:2, 296:16, 296:23, 296:25, 297:13, 303:18, 325:25, 337:13, 337:20</p> <p><b>overstory</b> [1] - 99:13</p> <p><b>overtops</b> [1] - 353:9</p> <p><b>overview</b> [6] - 27:16, 49:21, 50:3, 288:16, 288:24, 291:22</p> <p><b>overweight</b> [4] - 117:6, 212:5, 221:2, 241:11</p> <p><b>overzealous</b> [1] - 67:15</p> <p><b>own</b> [18] - 14:24, 155:16, 170:1, 193:13, 206:9, 211:12, 270:18, 270:21, 305:19, 312:23, 317:17, 317:23, 324:13, 324:24, 342:17, 370:8, 378:20</p> <p><b>owned</b> [25] - 8:19, 11:8, 17:22, 17:23, 17:25, 24:13, 114:9, 131:20, 155:10, 155:12, 158:6, 160:16, 161:9, 168:18, 201:12, 317:22, 325:15, 327:8, 327:9, 328:4, 332:10, 334:2, 334:6, 349:18, 350:9</p> <p><b>owner</b> [10] - 4:10, 133:17, 133:20, 133:21, 133:22, 134:1, 160:10, 305:4, 336:19,</p>	<p>378:21</p> <p><b>owner/operator</b> [3] - 259:4, 308:21, 369:9</p> <p><b>owners</b> [2] - 301:10, 301:25</p> <p><b>ownership</b> [4] - 9:18, 10:12, 12:6, 297:3</p> <p><b>owning</b> [3] - 3:24, 285:23, 340:1</p> <p><b>owns</b> [1] - 161:10</p> <p><b>oxide</b> [3] - 242:13, 242:17, 242:18</p> <p><b>oxidize</b> [1] - 356:20</p> <p><b>oxygen</b> [11] - 199:12, 199:22, 240:10, 240:20, 240:22, 243:24, 243:25, 316:12, 316:16, 352:9</p>	<p><b>Palmer</b> [3] - 8:5, 115:24, 116:17</p> <p><b>Pamela</b> [5] - 314:19, 318:2, 318:3, 318:7, 318:9</p> <p><b>PANEL</b> [1] - 1:18</p> <p><b>panel</b> [4] - 130:7, 144:22, 145:1, 179:3</p> <p><b>Paper</b> [7] - 9:2, 10:1, 10:3, 135:25, 151:19, 151:23, 361:16</p> <p><b>paper</b> [12] - 5:23, 13:12, 26:4, 111:13, 111:17, 249:4, 264:10, 272:7, 279:20, 334:7, 335:12, 365:18</p> <p><b>papers</b> [2] - 249:1, 268:21</p> <p><b>paperwork</b> [1] - 127:13</p> <p><b>parade</b> [1] - 320:9</p> <p><b>paragraph</b> [1] - 270:11</p> <p><b>parallel</b> [1] - 355:11</p> <p><b>parameter</b> [1] - 199:7</p> <p><b>parameters</b> [10] - 33:20, 34:5, 34:18, 83:16, 123:18, 124:2, 125:3, 189:22, 200:1, 278:23</p> <p><b>paraphrasing</b> [1] - 288:10</p> <p><b>parcel</b> [3] - 94:7, 289:8, 291:14</p> <p><b>pardon</b> [1] - 47:5</p> <p><b>parent</b> [1] - 155:11</p> <p><b>parenthetically</b> [1] - 259:5</p> <p><b>parents'</b> [1] - 377:20</p> <p><b>Parizo</b> [1] - 365:8</p> <p><b>park</b> [2] - 327:14, 335:21</p> <p><b>Parker</b> [14] - 2:17, 8:16, 9:14, 137:16, 179:7, 284:13, 325:11, 328:7, 328:10, 328:12, 328:25, 332:23, 341:1, 350:15</p> <p><b>PARKER</b> [211] - 1:12, 2:5, 6:16, 7:5, 14:10, 15:23, 16:21, 16:25, 17:4, 17:14, 17:21, 18:1, 18:9, 19:4, 28:24, 46:21, 46:24, 47:21, 48:3, 90:19, 90:23, 93:1, 93:3, 93:6, 113:12, 116:8,</p>	<p>121:7, 129:21, 129:25, 130:5, 131:14, 136:8, 136:13, 137:14, 138:14, 141:9, 141:11, 143:15, 144:19, 144:21, 144:25, 145:6, 146:18, 147:15, 147:21, 148:20, 148:23, 148:25, 150:6, 150:11, 151:21, 158:23, 159:4, 159:9, 159:14, 159:23, 160:2, 160:5, 161:7, 162:2, 162:10, 162:14, 163:2, 163:8, 163:24, 164:3, 168:6, 169:18, 170:10, 173:1, 174:15, 174:21, 175:8, 177:20, 178:21, 179:2, 193:19, 193:22, 193:25, 194:6, 200:6, 200:10, 202:7, 204:2, 204:10, 205:14, 206:17, 207:1, 207:5, 208:2, 208:6, 209:21, 210:7, 212:2, 213:3, 224:13, 225:6, 233:22, 236:9, 247:9, 248:6, 248:10, 249:7, 249:15, 250:3, 250:23, 255:5, 255:17, 256:2, 256:7, 256:10, 256:13, 256:17, 256:21, 262:5, 264:12, 265:8, 265:13, 265:16, 265:22, 270:10, 271:13, 271:22, 272:1, 272:5, 272:9, 273:21, 274:3, 275:25, 277:13, 277:20, 278:2, 279:24, 282:7, 282:10, 282:16, 282:18, 282:20, 282:24, 284:3, 291:23, 293:8, 297:17, 297:19, 298:6, 299:17, 299:21, 299:23, 300:15, 300:18, 300:20, 300:23,</p>	<p>301:2, 304:15, 304:24, 308:16, 308:18, 309:8, 312:14, 312:16, 313:23, 314:14, 317:18, 318:2, 320:1, 324:4, 325:10, 328:7, 328:10, 332:19, 332:20, 332:21, 335:2, 339:2, 340:5, 340:19, 343:11, 345:22, 347:1, 347:16, 348:12, 348:15, 350:11, 350:19, 353:17, 354:18, 354:22, 355:13, 357:18, 357:20, 358:12, 358:16, 360:20, 360:24, 363:6, 363:8, 363:10, 365:6, 365:11, 369:6, 370:9, 372:8, 375:4, 375:6, 376:24, 378:16, 380:23, 385:2, 385:24, 386:2, 386:5</p> <p><b>Parker's</b> [1] - 65:16</p> <p><b>part</b> [70] - 4:14, 15:11, 16:9, 24:7, 25:18, 37:22, 37:23, 43:14, 45:12, 49:12, 50:19, 51:2, 52:11, 53:16, 57:1, 68:4, 74:13, 75:13, 80:14, 82:1, 83:21, 87:18, 91:23, 94:1, 96:4, 97:21, 109:21, 111:25, 147:14, 149:24, 190:13, 192:19, 197:25, 198:7, 198:14, 198:24, 199:19, 204:24, 207:6, 215:13, 216:6, 218:13, 229:3, 229:25, 237:22, 255:6, 260:6, 267:19, 272:3, 291:15, 291:17, 294:14, 296:17, 304:17, 315:16, 317:6, 317:7, 318:14, 318:18, 319:20, 319:24, 326:8, 329:6, 332:4, 337:17, 337:24, 369:15, 379:20</p> <p><b>partial</b> [1] - 336:21</p> <p><b>partially</b> [3] - 93:11,</p>
<b>P</b>				
<p><b>p.m</b> [4] - 5:7, 118:1, 341:6, 348:25</p> <p><b>P.M</b> [1] - 284:2</p> <p><b>Pacific</b> [7] - 10:9, 10:16, 253:9, 356:5, 356:7, 356:10, 356:14</p> <p><b>package</b> [1] - 280:8</p> <p><b>pad</b> [1] - 240:18</p> <p><b>page</b> [40] - 126:25, 130:22, 131:16, 131:20, 132:3, 133:10, 134:9, 135:6, 152:10, 152:21, 152:25, 153:1, 153:9, 157:3, 168:15, 179:8, 181:3, 183:2, 183:7, 184:2, 184:19, 185:6, 187:2, 221:17, 228:24, 244:15, 258:8, 259:3, 262:12, 263:11, 270:12, 271:14, 271:25, 272:5, 272:6, 272:10, 276:4, 278:8, 278:20, 280:16</p> <p><b>Page</b> [2] - 185:21, 186:5</p> <p><b>pages</b> [1] - 272:24</p> <p><b>paid</b> [4] - 11:19, 137:19, 137:23, 138:3</p> <p><b>paint</b> [4] - 196:5, 205:22, 224:1, 321:13</p>				



<p>99:8, 193:10  <b>participate</b> [1] - 4:9  <b>participating</b> [1] - 266:17  <b>particles</b> [1] - 202:22  <b>particular</b> [19] - 14:5, 31:4, 37:22, 43:18, 50:23, 53:5, 55:23, 57:1, 60:3, 67:17, 68:7, 169:13, 183:3, 191:2, 207:23, 226:8, 306:14, 337:16, 357:4  <b>particularly</b> [5] - 53:7, 180:7, 226:6, 331:19, 373:10  <b>parties</b> [6] - 3:23, 4:12, 6:10, 6:11, 255:8, 285:22  <b>partner</b> [4] - 7:16, 333:12, 376:7, 376:10  <b>partners</b> [1] - 376:14  <b>partnership</b> [3] - 293:23, 295:17, 296:18  <b>parts</b> [14] - 58:16, 58:19, 66:9, 85:22, 125:11, 193:4, 229:8, 239:15, 239:19, 239:24, 248:16, 248:19, 256:20, 267:15  <b>party</b> [3] - 108:13, 108:19, 221:9  <b>pass</b> [9] - 159:23, 179:10, 217:7, 217:8, 242:18, 324:12, 330:24, 363:7, 363:9  <b>passage</b> [3] - 266:5, 266:10, 301:25  <b>passed</b> [2] - 331:25, 372:17  <b>passes</b> [4] - 127:17, 159:22, 321:12, 367:10  <b>passing</b> [2] - 183:3, 324:17  <b>passion</b> [2] - 366:2, 366:6  <b>passionate</b> [2] - 345:25, 346:1  <b>past</b> [10] - 54:15, 95:19, 97:8, 114:11, 172:14, 180:25, 273:10, 298:18, 334:12, 374:6  <b>path</b> [3] - 112:17, 189:10, 189:12</p>	<p><b>pathogenic</b> [1] - 353:6  <b>patience</b> [1] - 332:25  <b>Patricia</b> [1] - 336:24  <b>pattern</b> [4] - 38:2, 62:20, 231:11, 326:8  <b>patterns</b> [6] - 39:16, 39:19, 79:4, 230:16, 238:23, 275:2  <b>Paul</b> [4] - 335:3, 340:19, 341:1, 360:21  <b>paved</b> [1] - 238:9  <b>paving</b> [1] - 379:16  <b>pay</b> [2] - 293:24, 371:11  <b>paying</b> [2] - 159:21, 342:4  <b>payment</b> [3] - 134:21, 134:25, 135:1  <b>payments</b> [4] - 134:11, 134:14, 135:2  <b>pays</b> [1] - 149:17  <b>PBD</b> [4] - 132:14, 153:20, 154:2, 172:2  <b>PCBs</b> [1] - 263:25  <b>PCPs</b> [1] - 351:18  <b>PDF</b> [1] - 348:24  <b>peak</b> [4] - 116:7, 116:10, 227:7, 263:14  <b>peatland</b> [2] - 105:7, 106:4  <b>peatlands</b> [2] - 93:19, 105:11  <b>pellets</b> [2] - 242:14, 305:22  <b>penalize</b> [1] - 117:9  <b>penalizing</b> [2] - 162:23, 163:21  <b>penalties</b> [4] - 220:18, 220:21, 221:1, 241:11  <b>penetration</b> [1] - 76:10  <b>penetrations</b> [3] - 76:7, 76:23, 182:12  <b>Pennsylvania</b> [1] - 193:14  <b>Penobscot</b> [45] - 24:23, 112:12, 112:20, 168:25, 251:2, 252:11, 252:12, 252:16, 253:25, 257:1, 257:4, 257:6, 257:8, 257:12, 257:25, 260:24, 263:8, 266:1, 266:6, 267:11, 267:25,</p>	<p>276:7, 280:19, 301:6, 315:13, 318:11, 319:1, 319:17, 321:17, 321:18, 325:2, 336:10, 336:11, 346:13, 350:23, 351:8, 351:19, 352:4, 352:6, 352:13, 352:17, 353:2, 353:8, 357:23, 365:25  <b>Penobscots</b> [1] - 315:17  <b>people</b> [74] - 14:19, 74:1, 75:22, 136:21, 137:1, 145:1, 160:20, 175:5, 180:25, 197:3, 206:1, 212:19, 216:23, 223:18, 237:2, 249:18, 260:13, 288:4, 288:6, 288:13, 292:3, 292:9, 293:2, 294:6, 298:19, 299:3, 299:8, 299:14, 307:19, 307:25, 309:18, 310:4, 310:17, 311:7, 311:21, 312:1, 312:2, 312:6, 314:23, 315:4, 315:8, 315:10, 316:1, 319:13, 319:17, 320:17, 322:6, 322:10, 322:12, 322:24, 323:2, 323:8, 340:23, 343:19, 344:7, 344:19, 351:6, 352:6, 352:14, 353:21, 354:6, 354:13, 355:21, 360:3, 365:21, 367:7, 368:9, 370:22, 371:14, 371:23, 375:22, 379:21, 384:16  <b>people's</b> [3] - 325:3, 343:22, 345:8  <b>per</b> [37] - 35:24, 36:1, 38:18, 38:25, 62:12, 69:20, 69:21, 71:22, 71:23, 78:17, 114:12, 115:9, 115:13, 116:6, 116:10, 116:13, 116:15, 125:11, 141:25, 142:1,</p>	<p>239:15, 239:19, 239:24, 248:16, 248:19, 254:6, 254:7, 277:4, 279:3, 279:5, 279:9, 279:11, 351:21, 357:5, 357:7, 357:8, 374:8  <b>PERC</b> [14] - 135:19, 148:13, 154:19, 155:24, 162:18, 200:25, 201:1, 301:16, 301:24, 302:15, 303:6, 304:16, 338:17, 338:21  <b>perceived</b> [1] - 260:16  <b>percent</b> [53] - 22:1, 24:5, 24:24, 24:25, 26:3, 27:23, 28:1, 65:17, 74:16, 75:11, 86:8, 86:10, 86:12, 100:16, 100:21, 101:2, 114:13, 145:10, 145:13, 145:14, 148:18, 152:15, 154:1, 154:11, 157:15, 157:21, 161:21, 166:9, 171:24, 191:11, 201:22, 212:13, 242:6, 242:10, 263:19, 264:13, 272:14, 279:14, 294:18, 294:24, 295:1, 301:22, 316:1, 316:2, 316:7, 332:11, 332:15, 340:8, 340:9, 340:10, 359:13, 373:4, 373:6  <b>percentage</b> [7] - 16:18, 16:20, 16:22, 154:9, 181:15, 182:24, 215:5  <b>percentages</b> [3] - 141:18, 142:5, 142:6  <b>perennial</b> [2] - 110:15, 111:4  <b>Perfect</b> [1] - 358:15  <b>perfect</b> [1] - 336:3  <b>perfectly</b> [2] - 210:6, 357:16  <b>perforated</b> [1] - 187:4  <b>perform</b> [2] - 89:12, 105:25  <b>performance</b> [10] - 42:8, 49:8, 55:25, 56:2, 79:23, 123:19,</p>	<p>198:4, 268:13, 272:18, 275:22  <b>Performance</b> [2] - 90:12, 189:25  <b>performed</b> [8] - 22:19, 91:23, 92:9, 92:16, 94:4, 94:8, 98:4, 106:24  <b>perhaps</b> [4] - 138:20, 158:12, 164:12, 236:14  <b>perimeter</b> [8] - 41:23, 45:12, 45:15, 50:9, 62:17, 98:22, 183:19  <b>perimeters</b> [1] - 32:13  <b>period</b> [18] - 35:8, 38:20, 50:15, 60:20, 61:3, 69:6, 77:23, 79:2, 134:10, 143:20, 150:2, 182:5, 212:16, 228:3, 228:14, 235:1, 292:7  <b>periodic</b> [1] - 120:6  <b>periodically</b> [1] - 6:2  <b>periphery</b> [1] - 267:13  <b>permanent</b> [3] - 77:8, 77:9, 223:15  <b>permanently</b> [2] - 111:7, 242:22  <b>permeabilities</b> [1] - 39:2  <b>permeability</b> [18] - 33:15, 33:23, 33:25, 34:2, 34:3, 35:12, 35:13, 35:14, 35:19, 35:22, 35:23, 36:1, 36:4, 38:23, 43:16, 46:13, 69:22, 71:20  <b>permission</b> [1] - 226:18  <b>Permit</b> [4] - 100:19, 101:3, 102:13, 278:12  <b>permit</b> [11] - 48:16, 49:12, 50:20, 126:24, 153:16, 162:11, 222:6, 322:23, 342:8, 348:9, 350:4  <b>permits</b> [6] - 6:4, 221:19, 221:20, 221:23, 222:5, 286:20  <b>permitted</b> [13] - 10:4, 14:2, 55:2, 104:19, 126:18, 146:10, 182:4, 277:24, 279:10, 279:15, 289:16, 290:17,</p>
---	--	--	--	---

<p>335:15  <b>permitting</b> [3] - 18:16,  51:2, 265:5  <b>Perry</b> [1] - 109:16  <b>person</b> [17] - 4:18,  130:8, 216:13,  216:14, 216:20,  217:4, 224:18,  286:13, 287:22,  287:24, 293:4,  293:5, 298:1, 298:8,  330:1, 355:6, 371:2  <b>personally</b> [3] - 67:13,  307:14, 378:11  <b>personnel</b> [2] - 62:6,  89:11  <b>persons</b> [8] - 3:24,  4:1, 4:2, 5:13,  285:23, 285:25,  286:1, 288:1  <b>perspective</b> [5] -  230:11, 251:17,  251:20, 362:11,  376:7  <b>pertains</b> [1] - 218:3  <b>pertinent</b> [1] - 322:13  <b>Pete</b> [1] - 365:7  <b>Peter</b> [5] - 318:3,  320:1, 320:2, 320:4,  320:6  <b>Pharmaceutical</b> [1] -  323:14  <b>phase</b> [3] - 341:18,  341:19, 341:21  <b>phased</b> [2] - 290:10,  313:20  <b>phenols</b> [1] - 352:11  <b>phenomenal</b> [1] -  237:18  <b>photo</b> [1] - 111:2  <b>photogrammetry</b> [1] -  179:20  <b>photograph</b> [1] -  80:18  <b>photographs</b> [1] -  245:22  <b>phrase</b> [2] - 22:6,  329:20  <b>phrasing</b> [1] - 276:9  <b>physical</b> [7] - 53:1,  72:10, 72:13, 72:14,  72:15, 215:21,  321:10  <b>physically</b> [1] - 162:4  <b>physics</b> [2] - 29:16,  269:17  <b>physiological</b> [1] -  253:5  <b>physiology</b> [2] -  253:11, 315:25</p>	<p><b>pick</b> [10] - 74:24,  74:25, 173:21,  182:5, 184:16,  195:22, 307:19,  368:6, 369:20, 379:4  <b>picked</b> [4] - 58:11,  58:12, 63:3, 173:25  <b>picking</b> [1] - 313:11  <b>pictorial</b> [1] - 256:23  <b>picture</b> [8] - 61:18,  65:11, 67:9, 71:12,  72:3, 73:17, 128:17,  189:3  <b>pictures</b> [6] - 65:6,  65:13, 67:3, 106:2,  217:2, 255:4  <b>piece</b> [8] - 52:8, 72:14,  80:25, 123:3, 195:4,  227:1, 228:8, 303:10  <b>pieces</b> [3] - 41:3,  65:24, 196:3  <b>Pierce</b> [2] - 7:15,  342:13  <b>Pike</b> [1] - 379:15  <b>piled</b> [1] - 336:6  <b>piling</b> [1] - 309:21  <b>pill</b> [1] - 371:13  <b>Pine</b> [10] - 196:10,  200:15, 200:23,  201:10, 201:24,  202:4, 300:1,  327:17, 327:19,  361:17  <b>pink</b> [2] - 95:7, 291:7  <b>pipe</b> [25] - 67:19,  67:21, 68:23, 76:8,  76:12, 77:13, 78:4,  78:5, 78:7, 78:8,  81:25, 83:4, 83:6,  187:5, 187:9,  187:21, 187:22,  229:4, 234:20,  317:12, 369:16  <b>pipes</b> [22] - 45:14,  62:21, 62:25, 63:25,  66:8, 68:16, 72:5,  77:1, 77:19, 80:22,  80:23, 81:4, 81:13,  82:1, 82:9, 82:11,  82:13, 82:16, 82:17,  83:3, 187:8  <b>piping</b> [2] - 77:25,  187:4  <b>pits</b> [8] - 31:24, 32:2,  33:10, 51:25, 52:2,  368:4, 368:12,  370:20  <b>placard</b> [1] - 369:13  <b>place</b> [26] - 11:23,  21:15, 47:3, 77:19,</p>	<p>81:10, 89:23,  116:25, 125:15,  131:9, 151:7, 152:1,  155:17, 175:16,  202:25, 208:3,  287:20, 302:14,  303:20, 309:19,  321:6, 339:24,  351:19, 371:17,  372:6, 373:17, 382:6  <b>placed</b> [12] - 71:9,  73:6, 73:19, 73:20,  74:9, 81:11, 81:20,  86:22, 183:16,  187:21, 219:19,  324:11  <b>placement</b> [4] - 81:10,  121:11, 121:22,  240:17  <b>places</b> [12] - 73:11,  74:14, 165:6,  258:24, 260:7,  271:8, 306:6,  306:16, 307:21,  324:11, 325:22,  367:16  <b>placing</b> [4] - 72:19,  121:23, 162:22,  182:13  <b>plan</b> [28] - 7:6, 21:11,  27:16, 27:20, 92:5,  101:21, 101:24,  102:2, 102:15,  103:22, 107:12,  109:1, 113:9,  119:19, 119:20,  129:3, 135:11,  135:14, 166:21,  209:10, 243:9,  291:16, 291:17,  348:9, 349:14,  350:7, 353:10, 381:1  <b>plane</b> [1] - 36:18  <b>planet</b> [1] - 344:3  <b>planner</b> [1] - 8:23  <b>Planning</b> [5] - 10:12,  11:24, 12:1, 327:16,  342:12  <b>planning</b> [4] - 9:9,  91:8, 91:10, 268:15  <b>plans</b> [4] - 89:2, 89:6,  89:7, 338:3  <b>plant</b> [36] - 26:12,  28:4, 126:16,  145:16, 145:21,  146:2, 165:18,  170:1, 170:5,  192:22, 257:23,  257:24, 258:11,  263:5, 277:10,</p>	<p>277:25, 279:10,  279:25, 300:5,  301:5, 304:4,  317:11, 319:7,  323:21, 327:7,  334:19, 338:17,  338:19, 338:21,  338:23, 356:8,  356:10, 356:11,  358:4, 359:7  <b>Plant</b> [1] - 300:1  <b>plants</b> [9] - 146:12,  246:11, 257:22,  276:6, 323:15,  349:24, 353:21,  354:13, 359:11  <b>plastic</b> [5] - 72:15,  74:21, 124:25,  230:13, 299:12  <b>plastics</b> [2] - 295:16,  384:19  <b>play</b> [1] - 25:18  <b>plays</b> [1] - 64:9  <b>plea</b> [1] - 342:25  <b>pleasant</b> [1] - 318:21  <b>pleased</b> [2] - 301:9,  318:15  <b>pleasure</b> [2] - 8:16,  9:11  <b>plug</b> [1] - 311:17  <b>plus</b> [5] - 77:22,  103:12, 107:17,  170:25, 269:15  <b>podium</b> [1] - 287:20  <b>point</b> [46] - 16:3,  43:24, 57:9, 62:13,  63:5, 69:21, 71:22,  86:23, 88:21, 94:17,  99:10, 120:12,  133:10, 135:22,  136:1, 149:3,  155:19, 157:19,  173:19, 174:2,  174:9, 175:18,  177:5, 189:11,  195:9, 219:2, 228:9,  231:13, 248:18,  261:1, 268:6,  269:25, 271:21,  292:8, 306:1,  309:13, 311:25,  325:15, 327:24,  329:4, 334:5,  337:12, 359:3,  360:8, 360:15  <b>pointed</b> [4] - 148:16,  239:6, 277:2, 325:24  <b>pointing</b> [2] - 109:7,  111:5  <b>points</b> [11] - 33:17,</p>	<p>49:16, 214:10,  252:6, 253:13,  294:11, 333:19,  333:24, 354:6,  364:21  <b>poison</b> [1] - 382:18  <b>poker</b> [1] - 356:8  <b>policies</b> [4] - 303:18,  341:4, 343:5, 345:2  <b>policy</b> [17] - 111:22,  117:2, 117:6, 117:7,  117:9, 117:12,  149:24, 149:25,  212:14, 212:23,  212:24, 213:1,  241:19, 241:20,  325:6, 325:22,  328:13  <b>Pollutant</b> [1] - 278:11  <b>pollute</b> [2] - 353:20,  354:11  <b>polluted</b> [1] - 353:14  <b>pollution</b> [8] - 255:13,  255:18, 267:18,  267:20, 345:2,  347:14, 348:1,  377:10  <b>Pollution</b> [1] - 374:16  <b>polyethylene</b> [3] -  66:22, 68:17, 80:25  <b>pond</b> [11] - 84:18,  84:19, 85:16, 85:20,  85:21, 106:11,  106:12, 356:7,  356:13, 357:25  <b>Pond</b> [1] - 312:22  <b>ponds</b> [11] - 50:10,  53:9, 84:14, 84:16,  84:18, 84:19, 85:1,  85:7, 85:10, 98:18,  290:8  <b>pool</b> [35] - 91:10,  91:17, 92:3, 94:4,  94:5, 94:10, 94:11,  94:21, 94:23, 94:24,  94:25, 95:3, 95:10,  95:11, 95:15, 95:18,  95:20, 96:17, 100:8,  100:14, 100:20,  100:22, 100:23,  101:2, 102:11,  102:12, 104:3,  106:9, 106:15,  106:16, 106:19,  106:21, 106:24,  219:1, 291:19  <b>pools</b> [52] - 94:15,  94:17, 94:18, 94:19,  94:22, 95:7, 95:16,  95:18, 96:16, 100:5,</p>
---	--	---	--	--

<p>100:6, 100:9, 100:11, 100:13, 102:9, 102:15, 102:18, 103:3, 103:4, 103:5, 103:7, 103:9, 103:11, 103:17, 103:18, 104:2, 104:4, 104:22, 104:23, 104:25, 105:2, 105:9, 106:19, 106:25, 107:1, 107:2, 107:3, 217:17, 217:24, 218:2, 218:20, 218:24, 219:4, 219:5, 219:8, 267:15, 280:10, 291:8, 317:23, 336:9</p> <p><b>poor</b> [1] - 321:5</p> <p><b>pop</b> [2] - 188:14, 251:6</p> <p><b>pops</b> [1] - 222:21</p> <p><b>populated</b> [1] - 222:25</p> <p><b>population</b> [3] - 257:3, 263:1, 352:21</p> <p><b>populations</b> [2] - 267:6, 275:13</p> <p><b>pore</b> [2] - 39:5, 39:7</p> <p><b>pores</b> [1] - 39:9</p> <p><b>porosity</b> [2] - 39:4, 39:5</p> <p><b>porous</b> [1] - 37:9</p> <p><b>portion</b> [12] - 7:3, 37:10, 64:1, 140:4, 146:5, 198:20, 208:4, 230:1, 230:5, 258:17, 289:19, 380:3</p> <p><b>portions</b> [2] - 21:1, 257:13</p> <p><b>Portland</b> [2] - 359:22, 360:5</p> <p><b>pose</b> [1] - 274:16</p> <p><b>posed</b> [1] - 267:3</p> <p><b>poses</b> [1] - 354:12</p> <p><b>position</b> [9] - 8:20, 12:7, 132:1, 132:12, 134:7, 156:19, 163:25, 279:25, 288:11</p> <p><b>positions</b> [1] - 8:21</p> <p><b>positive</b> [1] - 149:18</p> <p><b>possessing</b> [1] - 344:23</p> <p><b>possibility</b> [2] - 227:14, 274:17</p> <p><b>possible</b> [16] - 20:11, 20:12, 28:19, 28:21, 121:12, 156:23,</p>	<p>184:9, 190:16, 240:15, 241:2, 309:6, 344:6, 375:19, 376:14, 376:16, 379:10</p> <p><b>possibly</b> [2] - 326:10, 335:20</p> <p><b>post</b> [10] - 77:23, 84:20, 85:3, 128:15, 131:11, 131:12, 131:19, 150:2, 158:13, 158:18</p> <p><b>post-closure</b> [4] - 77:23, 131:11, 131:12, 150:2</p> <p><b>post-development</b> [2] - 84:20, 85:3</p> <p><b>post-hearing</b> [2] - 158:13, 158:18</p> <p><b>posted</b> [1] - 309:19</p> <p><b>posterity</b> [1] - 344:17</p> <p><b>posters</b> [1] - 348:20</p> <p><b>potential</b> [22] - 43:5, 56:11, 72:16, 119:16, 122:17, 145:16, 145:18, 149:8, 157:22, 158:1, 183:5, 190:25, 192:19, 228:13, 239:12, 240:5, 240:22, 264:22, 267:5, 267:9, 287:5</p> <p><b>potentially</b> [6] - 128:2, 143:11, 163:13, 173:21, 241:5, 352:6</p> <p><b>pound</b> [1] - 212:12</p> <p><b>pounds</b> [2] - 323:21, 323:22</p> <p><b>pouring</b> [1] - 60:10</p> <p><b>power</b> [4] - 80:9, 191:19, 301:19, 302:24</p> <p><b>powerful</b> [1] - 191:21</p> <p><b>practicable</b> [13] - 20:9, 20:18, 21:25, 22:12, 26:2, 26:14, 113:8, 153:25, 154:6, 154:12, 157:14, 157:24, 185:14</p> <p><b>practical</b> [3] - 28:9, 119:3, 142:14</p> <p><b>practice</b> [7] - 48:12, 48:21, 111:25, 115:19, 118:23, 142:19, 340:11</p> <p><b>practices</b> [7] - 115:17, 120:2, 120:4, 120:16, 120:24, 129:4, 176:19</p>	<p><b>Practices</b> [1] - 84:2</p> <p><b>practicing</b> [2] - 327:25, 351:6</p> <p><b>pre</b> [18] - 4:13, 4:16, 4:20, 8:3, 85:2, 234:23, 252:7, 254:24, 261:5, 261:20, 261:22, 262:5, 264:4, 271:14, 276:20, 286:10, 286:15, 351:4</p> <p><b>pre-development</b> [1] - 85:2</p> <p><b>pre-existing</b> [1] - 351:4</p> <p><b>pre-filed</b> [16] - 4:13, 4:16, 4:20, 8:3, 234:23, 252:7, 254:24, 261:5, 261:20, 261:22, 262:5, 264:4, 271:14, 276:20, 286:10, 286:15</p> <p><b>preamble</b> [1] - 344:14</p> <p><b>preceded</b> [1] - 320:14</p> <p><b>precedent</b> [2] - 343:25, 349:9</p> <p><b>precious</b> [1] - 324:19</p> <p><b>preciously</b> [1] - 152:6</p> <p><b>precipitation</b> [12] - 213:8, 213:12, 214:1, 230:14, 269:20, 270:5, 271:2, 271:3, 271:18, 273:8, 275:3, 374:2</p> <p><b>precisely</b> [1] - 36:19</p> <p><b>precluded</b> [1] - 65:22</p> <p><b>predetermined</b> [1] - 238:21</p> <p><b>predict</b> [1] - 60:19</p> <p><b>predictability</b> [1] - 269:23</p> <p><b>predicted</b> [1] - 269:17</p> <p><b>predicting</b> [1] - 229:23</p> <p><b>prediction</b> [1] - 272:18</p> <p><b>predictions</b> [2] - 56:20, 235:18</p> <p><b>predicts</b> [1] - 230:4</p> <p><b>predominant</b> [3] - 238:22, 239:4, 246:5</p> <p><b>predominantly</b> [2] - 199:1, 200:24</p> <p><b>prefer</b> [1] - 138:17</p> <p><b>preferred</b> [2] - 26:23, 250:7</p> <p><b>pregnant</b> [2] - 351:21, 351:22</p> <p><b>preliminary</b> [1] -</p>	<p>108:25</p> <p><b>premise</b> [2] - 259:22, 339:25</p> <p><b>preparation</b> [1] - 48:16</p> <p><b>prepared</b> [5] - 73:3, 80:1, 89:2, 259:4, 342:21</p> <p><b>preparing</b> [1] - 296:20</p> <p><b>preponderance</b> [1] - 261:15</p> <p><b>prescribe</b> [2] - 59:10, 59:16</p> <p><b>prescriptive</b> [1] - 222:7</p> <p><b>presence</b> [2] - 144:16, 321:10</p> <p><b>PRESENT</b> [2] - 1:18, 1:22</p> <p><b>present</b> [8] - 8:1, 37:4, 107:18, 197:14, 197:16, 273:12, 280:3, 303:7</p> <p><b>presentation</b> [13] - 7:9, 30:7, 47:1, 49:3, 52:23, 53:24, 129:23, 190:6, 193:1, 249:16, 256:14, 285:10, 288:5</p> <p><b>presentations</b> [1] - 262:2</p> <p><b>presented</b> [4] - 16:3, 149:9, 234:24, 268:19</p> <p><b>presenters</b> [2] - 168:9, 250:10</p> <p><b>presenting</b> [2] - 44:5, 321:22</p> <p><b>Preservation</b> [1] - 358:6</p> <p><b>preservation</b> [47] - 101:8, 101:11, 101:12, 101:14, 101:17, 102:3, 102:4, 102:24, 103:1, 103:24, 104:1, 104:9, 104:13, 104:17, 104:21, 105:3, 106:3, 106:23, 107:10, 107:16, 107:18, 107:20, 107:22, 108:5, 108:10, 111:7, 203:20, 204:24, 205:3, 205:9, 218:22, 219:6, 219:8, 219:17, 219:24, 224:15,</p>	<p>247:4, 280:8, 280:18, 280:21, 280:25, 281:2, 281:5, 281:12, 281:14, 281:22, 291:14</p> <p><b>preserve</b> [5] - 103:23, 220:6, 220:9, 325:16, 328:1</p> <p><b>preserved</b> [4] - 101:15, 107:24, 219:13, 219:14</p> <p><b>preserving</b> [2] - 103:23, 280:17</p> <p><b>presiding</b> [2] - 2:19, 284:14</p> <p><b>pressure</b> [10] - 78:6, 143:25, 144:3, 144:9, 160:14, 210:5, 226:22, 233:20, 233:24, 246:14</p> <p><b>pressures</b> [6] - 187:11, 199:23, 215:25, 227:10, 227:11, 236:22</p> <p><b>presumably</b> [4] - 225:12, 329:23, 358:1, 358:2</p> <p><b>pretend</b> [2] - 300:25, 301:1</p> <p><b>pretending</b> [1] - 300:23</p> <p><b>pretty</b> [14] - 65:9, 154:13, 169:10, 189:4, 203:8, 220:20, 268:8, 292:10, 318:23, 320:12, 320:16, 349:6, 371:12</p> <p><b>prevent</b> [7] - 120:2, 139:14, 147:2, 324:17, 331:5, 348:1, 366:18</p> <p><b>preventing</b> [1] - 331:2</p> <p><b>prevents</b> [1] - 378:1</p> <p><b>previous</b> [7] - 16:12, 51:2, 104:17, 228:5, 250:9, 257:10, 349:4</p> <p><b>previously</b> [5] - 24:21, 28:7, 205:8, 205:12, 342:14</p> <p><b>Price</b> [1] - 11:7</p> <p><b>priceless</b> [1] - 328:2</p> <p><b>prices</b> [1] - 310:20</p> <p><b>pricing</b> [1] - 308:5</p> <p><b>pride</b> [1] - 376:15</p> <p><b>primarily</b> [17] - 9:25, 12:13, 15:4, 15:9, 22:20, 25:23, 30:9,</p>
---	---	--	---	---

<p>93:12, 96:16, 97:2, 99:20, 126:12, 137:25, 313:11, 316:11, 356:8, 375:14</p> <p><b>primary</b> [15] - 27:25, 44:25, 45:4, 45:8, 68:8, 70:11, 82:6, 116:17, 184:4, 208:18, 216:2, 242:7, 243:4, 247:22, 248:2</p> <p><b>principal</b> [8] - 30:18, 36:21, 48:12, 96:8, 96:15, 96:19, 96:24, 246:25</p> <p><b>principles</b> [1] - 260:2</p> <p><b>printed</b> [1] - 68:6</p> <p><b>printout</b> [1] - 205:1</p> <p><b>priorities</b> [2] - 14:16, 119:17</p> <p><b>prioritizing</b> [1] - 135:12</p> <p><b>priority</b> [2] - 19:21, 135:19</p> <p><b>private</b> [3] - 8:22, 302:10, 304:22</p> <p><b>privilege</b> [1] - 249:22</p> <p><b>privity</b> [1] - 361:19</p> <p><b>proactive</b> [4] - 118:4, 125:5, 125:12, 363:20</p> <p><b>probability</b> [5] - 191:12, 271:17, 271:19, 272:13, 272:15</p> <p><b>problem</b> [16] - 42:7, 42:14, 56:9, 66:1, 146:8, 173:23, 214:14, 229:14, 229:17, 248:19, 306:22, 307:10, 312:1, 312:15, 316:23, 355:12</p> <p><b>problematic</b> [1] - 332:3</p> <p><b>problems</b> [11] - 65:7, 76:13, 108:21, 306:15, 330:3, 335:17, 342:23, 349:21, 371:8, 381:11, 383:6</p> <p><b>procedure</b> [5] - 6:17, 206:8, 206:9, 287:11, 288:17</p> <p><b>Procedures</b> [2] - 3:15, 285:14</p> <p><b>procedures</b> [5] - 115:17, 125:16, 182:11, 191:5, 240:4</p>	<p><b>proceed</b> [1] - 121:6</p> <p><b>proceeding</b> [3] - 4:8, 7:2, 265:19</p> <p><b>process</b> [60] - 10:14, 21:14, 25:2, 27:8, 49:4, 61:25, 80:15, 97:16, 97:25, 102:1, 108:23, 108:24, 109:21, 110:2, 121:15, 125:13, 126:13, 126:21, 127:2, 127:6, 129:18, 135:18, 139:23, 145:10, 146:2, 146:3, 150:22, 154:19, 157:12, 161:20, 161:23, 162:18, 172:3, 200:25, 205:17, 221:3, 221:17, 222:11, 223:7, 223:19, 223:21, 239:18, 243:1, 243:5, 243:6, 243:20, 244:10, 244:11, 247:1, 302:22, 309:24, 321:5, 339:25, 341:10, 343:1, 352:4, 362:13, 363:25, 364:2, 380:10</p> <p><b>processables</b> [1] - 304:3</p> <p><b>processed</b> [16] - 22:2, 26:16, 140:12, 150:23, 151:1, 151:2, 162:5, 162:15, 163:19, 177:25, 178:16, 186:25, 257:21, 276:13, 327:12, 338:21</p> <p><b>processes</b> [1] - 252:1</p> <p><b>processing</b> [43] - 20:3, 20:8, 24:18, 25:3, 25:4, 25:22, 25:24, 26:8, 26:9, 28:15, 126:15, 135:20, 140:4, 140:5, 140:9, 153:23, 154:5, 155:24, 157:11, 157:16, 157:20, 161:3, 161:4, 161:15, 163:13, 163:21, 164:7, 164:10, 166:24, 167:6, 167:7, 167:9, 174:1, 175:10,</p>	<p>175:13, 176:12, 176:16, 177:15, 186:8, 186:16, 186:23, 289:25, 332:14</p> <p><b>produce</b> [4] - 254:17, 302:25, 309:15, 337:19</p> <p><b>produced</b> [8] - 22:9, 26:3, 199:6, 199:13, 201:2, 254:6, 337:21, 373:24</p> <p><b>producer</b> [1] - 221:25</p> <p><b>produces</b> [4] - 165:7, 175:13, 309:24, 358:5</p> <p><b>producing</b> [1] - 374:19</p> <p><b>product</b> [2] - 73:5, 175:14</p> <p><b>production</b> [2] - 96:21, 305:20</p> <p><b>productive</b> [2] - 7:8, 292:14</p> <p><b>products</b> [3] - 122:1, 321:2, 354:9</p> <p><b>professional</b> [6] - 18:21, 29:3, 29:18, 48:8, 113:15, 259:2</p> <p><b>professionalism</b> [1] - 361:25</p> <p><b>professionally</b> [2] - 350:18, 363:3</p> <p><b>professionals</b> [2] - 54:12, 90:16</p> <p><b>Professor</b> [1] - 323:18</p> <p><b>professor</b> [2] - 250:15, 268:22</p> <p><b>profile</b> [9] - 13:2, 127:1, 221:16, 222:20, 222:21, 222:25, 223:1, 223:4, 223:11</p> <p><b>profits</b> [1] - 323:5</p> <p><b>program</b> [17] - 23:8, 30:14, 89:10, 117:7, 123:14, 126:22, 127:5, 181:12, 198:7, 198:25, 216:7, 221:11, 222:23, 222:24, 230:8, 238:19, 295:8</p> <p><b>Program</b> [1] - 351:17</p> <p><b>programs</b> [12] - 20:4, 21:4, 21:7, 21:15, 23:20, 27:13, 28:15, 132:19, 165:16, 295:15, 296:8, 375:1</p> <p><b>progresses</b> [1] - 251:19</p>	<p><b>progression</b> [1] - 235:7</p> <p><b>progressively</b> [1] - 88:10</p> <p><b>prohibit</b> [3] - 142:20, 337:11, 340:11</p> <p><b>prohibited</b> [3] - 130:24, 219:24, 219:25</p> <p><b>Prohibitive</b> [1] - 90:11</p> <p><b>prohibitive</b> [1] - 49:6</p> <p><b>prohibits</b> [1] - 219:21</p> <p><b>project</b> [45] - 4:2, 6:23, 7:14, 48:10, 49:15, 49:22, 51:1, 51:3, 56:1, 74:13, 83:10, 84:5, 91:5, 91:19, 91:24, 92:4, 94:5, 95:14, 95:15, 95:20, 98:2, 98:21, 99:4, 99:12, 101:6, 104:23, 109:15, 111:23, 113:3, 113:5, 167:18, 217:15, 218:13, 227:25, 247:3, 262:14, 262:17, 286:1, 286:14, 286:22, 288:21, 321:2, 321:24, 322:14, 323:6</p> <p><b>Project</b> [4] - 252:13, 266:1, 266:7, 318:16</p> <p><b>project's</b> [1] - 97:22</p> <p><b>projected</b> [2] - 83:13, 359:4</p> <p><b>projections</b> [1] - 83:14</p> <p><b>projector</b> [1] - 126:25</p> <p><b>projects</b> [4] - 18:17, 55:1, 91:8, 202:14</p> <p><b>prominent</b> [1] - 232:25</p> <p><b>promised</b> [1] - 335:11</p> <p><b>promote</b> [2] - 21:17, 344:15</p> <p><b>promotes</b> [1] - 280:18</p> <p><b>promoting</b> [1] - 19:11</p> <p><b>promptly</b> [1] - 249:11</p> <p><b>promulgated</b> [1] - 211:21</p> <p><b>pronounce</b> [1] - 375:7</p> <p><b>pronounced</b> [1] - 3:10</p> <p><b>proof</b> [1] - 271:6</p> <p><b>propagation</b> [1] - 346:19</p> <p><b>proper</b> [3] - 121:2, 127:15, 128:7</p> <p><b>properly</b> [13] - 31:2, 40:23, 122:16, 127:8, 127:20,</p>	<p>148:13, 196:15, 206:16, 232:8, 233:6, 234:15, 301:11, 370:23</p> <p><b>properties</b> [5] - 42:22, 43:7, 89:18, 211:24, 211:25</p> <p><b>property</b> [22] - 3:24, 4:10, 31:14, 43:23, 43:25, 55:17, 55:18, 103:25, 104:16, 110:10, 112:15, 220:2, 257:13, 257:16, 257:17, 259:25, 267:14, 285:23, 294:2, 330:8, 336:10, 344:24</p> <p><b>proponent</b> [1] - 251:10</p> <p><b>proportional</b> [1] - 330:11</p> <p><b>proposal</b> [4] - 290:6, 290:21, 341:15, 341:17</p> <p><b>proposals</b> [1] - 10:17</p> <p><b>propose</b> [1] - 227:5</p> <p><b>Proposed</b> [1] - 6:24</p> <p><b>PROPOSED</b> [1] - 1:6</p> <p><b>proposed</b> [39] - 21:5, 28:2, 30:14, 32:14, 52:20, 66:24, 92:3, 99:2, 100:8, 126:8, 148:21, 156:14, 205:3, 225:21, 229:25, 233:19, 235:1, 258:2, 280:18, 286:20, 286:23, 288:24, 290:2, 290:19, 290:25, 291:1, 291:13, 291:16, 291:20, 328:16, 328:18, 330:10, 330:23, 336:23, 337:8, 342:9, 342:11, 353:15, 354:10</p> <p><b>proposes</b> [1] - 280:8</p> <p><b>proposing</b> [4] - 53:16, 102:22, 103:23, 148:10</p> <p><b>protect</b> [18] - 25:7, 30:5, 46:8, 49:9, 65:19, 67:7, 67:8, 72:9, 81:1, 108:6, 108:7, 323:24, 345:17, 346:11, 346:23, 347:3, 347:9, 352:13</p>
---	--	---	--	---

<p><b>protected</b> [20] - 102:5, 104:18, 104:19, 108:3, 108:10, 111:8, 193:6, 204:24, 205:6, 205:8, 205:11, 252:9, 257:17, 258:3, 262:9, 262:18, 263:2, 287:7, 325:3, 351:7</p> <p><b>protecting</b> [2] - 40:17, 344:23</p> <p><b>Protection</b> [17] - 2:2, 2:7, 2:15, 2:18, 3:17, 9:6, 49:12, 50:20, 55:4, 92:10, 101:10, 284:9, 285:16, 286:20, 289:23, 291:18, 328:12</p> <p><b>protection</b> [11] - 57:6, 72:25, 84:3, 84:4, 111:19, 112:7, 112:8, 127:10, 183:9, 220:14, 346:19</p> <p><b>PROTECTION</b> [1] - 1:2</p> <p><b>protective</b> [2] - 119:5, 320:22</p> <p><b>protects</b> [1] - 73:19</p> <p><b>protest</b> [1] - 321:4</p> <p><b>protocol</b> [3] - 94:10, 94:12, 196:21</p> <p><b>protocols</b> [2] - 92:21, 92:25</p> <p><b>proof</b> [3] - 167:13, 298:18, 309:11</p> <p><b>proven</b> [4] - 57:4, 304:20, 353:13, 376:20</p> <p><b>proverbial</b> [1] - 321:13</p> <p><b>provide</b> [56] - 11:9, 12:21, 13:6, 19:10, 20:1, 21:2, 27:6, 32:7, 51:5, 53:4, 55:22, 68:3, 69:24, 76:1, 80:13, 90:5, 92:6, 96:6, 96:9, 96:23, 97:11, 101:8, 101:15, 102:8, 103:13, 105:14, 105:19, 106:2, 106:22, 110:6, 111:18, 131:17, 136:4, 140:15, 156:14, 176:1, 187:14, 201:13, 201:17, 203:24, 205:10, 211:4, 218:10, 220:10, 220:14, 220:23,</p>	<p>246:24, 258:22, 271:4, 293:25, 301:14, 304:20, 313:6, 331:13, 344:15, 346:18</p> <p><b>provided</b> [20] - 12:17, 34:11, 35:1, 94:22, 96:12, 96:17, 96:20, 100:19, 106:17, 107:12, 109:23, 126:1, 133:12, 156:16, 168:14, 218:7, 220:11, 255:7, 256:23, 321:8</p> <p><b>provider</b> [1] - 374:8</p> <p><b>provides</b> [23] - 26:17, 27:15, 32:22, 33:7, 34:14, 34:21, 35:10, 62:25, 63:19, 64:20, 68:2, 72:10, 72:15, 81:12, 95:23, 105:5, 200:18, 200:21, 227:12, 233:5, 246:22, 246:23, 246:25</p> <p><b>providing</b> [11] - 25:19, 72:24, 104:8, 104:11, 107:9, 107:19, 108:19, 111:8, 160:20, 326:15, 376:15</p> <p><b>proving</b> [1] - 353:16</p> <p><b>provision</b> [1] - 20:25</p> <p><b>provisions</b> [3] - 21:9, 21:10, 28:11</p> <p><b>proximity</b> [6] - 263:4, 264:20, 267:12, 267:25, 333:3, 347:7</p> <p><b>PRRP</b> [1] - 267:21</p> <p><b>prudent</b> [1] - 211:2</p> <p><b>PTL</b> [1] - 200:18</p> <p><b>PTL's</b> [1] - 326:18</p> <p><b>public</b> [47] - 5:7, 5:8, 5:9, 5:20, 7:12, 8:22, 13:16, 17:3, 17:5, 18:7, 51:1, 117:11, 121:17, 132:9, 132:10, 152:22, 152:24, 153:10, 155:5, 156:11, 156:15, 157:3, 158:14, 164:6, 249:12, 283:1, 283:2, 289:19, 289:22, 292:16, 296:21, 326:18, 331:13, 332:1, 333:1, 336:22, 337:9, 338:13, 339:23, 341:14,</p>	<p>342:6, 342:7, 358:21, 363:20, 378:10, 386:1, 386:2</p> <p><b>Public</b> [1] - 8:25</p> <p><b>publicly</b> [2] - 245:23, 305:25</p> <p><b>publicly-available</b> [1] - 245:23</p> <p><b>publicly-traded</b> [1] - 305:25</p> <p><b>published</b> [3] - 3:21, 88:19, 285:20</p> <p><b>pull</b> [6] - 151:10, 167:20, 167:21, 167:23, 188:20, 355:14</p> <p><b>pulled</b> [1] - 77:16</p> <p><b>pulling</b> [4] - 240:25, 241:1, 241:3, 241:4</p> <p><b>pulls</b> [1] - 242:20</p> <p><b>Pulp</b> [4] - 9:2, 10:3, 151:19, 151:23</p> <p><b>pulp</b> [3] - 77:16, 351:14, 365:18</p> <p><b>pump</b> [24] - 32:19, 41:7, 75:9, 77:8, 77:9, 77:11, 78:23, 80:6, 80:11, 81:5, 81:6, 122:21, 206:21, 207:6, 207:11, 207:12, 207:14, 207:21, 214:5, 214:16, 357:3, 357:6</p> <p><b>pumped</b> [7] - 41:8, 41:17, 78:3, 79:10, 81:14, 183:11, 208:23</p> <p><b>pumping</b> [16] - 32:20, 32:21, 41:11, 41:13, 41:14, 41:20, 80:2, 183:19, 184:6, 184:15, 206:18, 208:20, 208:23, 215:13, 227:21, 229:1</p> <p><b>pumps</b> [8] - 77:15, 81:4, 81:5, 81:9, 188:16, 188:21, 207:15, 207:16</p> <p><b>puncture</b> [1] - 67:9</p> <p><b>punt</b> [1] - 236:21</p> <p><b>purchase</b> [3] - 10:23, 17:7, 17:11</p> <p><b>purchased</b> [1] - 372:16</p> <p><b>purple</b> [4] - 104:17, 205:2, 224:20, 225:2</p> <p><b>purpose</b> [8] - 5:24, 98:2, 154:3, 181:11,</p>	<p>216:2, 316:7, 333:22, 344:12</p> <p><b>purposes</b> [5] - 20:7, 172:15, 175:25, 239:17, 288:25</p> <p><b>pursuant</b> [5] - 3:15, 10:10, 11:5, 11:25, 285:14</p> <p><b>pursuing</b> [2] - 344:24, 345:9</p> <p><b>Pushaw</b> [4] - 110:16, 267:6, 267:7, 267:10</p> <p><b>pushed</b> [1] - 74:11</p> <p><b>pushing</b> [1] - 47:14</p> <p><b>Put</b> [1] - 292:2</p> <p><b>put</b> [85] - 21:24, 34:8, 41:22, 56:5, 58:18, 59:24, 60:17, 62:21, 64:12, 64:14, 65:15, 65:19, 66:3, 66:5, 67:1, 67:25, 68:13, 69:8, 69:18, 69:22, 69:25, 70:12, 72:8, 72:23, 74:21, 76:9, 76:10, 76:12, 76:23, 77:13, 80:24, 85:18, 87:12, 89:21, 125:15, 133:2, 143:1, 149:23, 156:1, 160:14, 162:4, 162:5, 162:8, 163:13, 182:24, 187:9, 188:10, 194:18, 195:3, 196:6, 207:13, 214:25, 215:24, 216:17, 222:12, 222:19, 222:22, 223:15, 226:19, 229:2, 231:3, 234:19, 235:23, 242:24, 244:5, 244:6, 244:7, 277:25, 285:11, 298:24, 302:4, 309:3, 317:1, 317:3, 317:12, 319:15, 351:25, 355:25, 366:25, 371:16, 372:6, 379:22, 383:13</p> <p><b>putting</b> [9] - 63:20, 77:13, 90:6, 124:20, 297:12, 317:15, 355:17, 369:14, 369:15</p> <p><b>pyrite</b> [1] - 242:23</p>	<p style="text-align: center;"><b>Q</b></p> <p><b>QA</b> [1] - 59:22</p> <p><b>QA/QC</b> [2] - 75:13, 76:20</p> <p><b>QC</b> [1] - 59:22</p> <p><b>quad</b> [1] - 274:7</p> <p><b>qualified</b> [1] - 129:6</p> <p><b>qualitative</b> [3] - 27:17, 53:22, 245:16</p> <p><b>quality</b> [46] - 45:24, 59:23, 61:6, 67:21, 75:24, 89:9, 118:21, 119:6, 119:15, 182:10, 190:3, 190:10, 190:12, 190:14, 190:18, 191:1, 191:8, 191:14, 191:18, 209:8, 209:17, 215:16, 216:8, 228:4, 231:16, 231:18, 231:22, 231:25, 232:10, 232:15, 232:24, 233:4, 245:14, 257:9, 267:13, 287:6, 336:14, 346:11, 346:18, 346:22, 350:22, 352:12, 352:15, 366:10</p> <p><b>quantitative</b> [2] - 53:22, 245:17</p> <p><b>quantity</b> [2] - 22:9, 295:15</p> <p><b>quarter</b> [3] - 31:21, 66:15, 66:18</p> <p><b>quarterly</b> [2] - 198:2, 198:23</p> <p><b>Quebec</b> [1] - 151:20</p> <p><b>questioning</b> [3] - 17:6, 174:19, 328:25</p> <p><b>questions</b> [66] - 5:13, 5:15, 6:1, 6:2, 6:4, 6:17, 8:11, 8:12, 14:8, 14:11, 17:1, 18:3, 18:4, 18:5, 28:25, 29:1, 49:19, 68:24, 70:23, 130:18, 136:11, 137:15, 137:18, 138:15, 138:16, 146:19, 152:7, 156:6, 164:1, 164:3, 170:12, 173:1, 175:4, 179:6, 180:25, 189:19, 200:8, 202:9, 204:3, 204:4, 206:18,</p>
--	--	--	---	--

<p>207:9, 209:22, 220:15, 223:16, 225:6, 225:9, 230:7, 231:17, 247:10, 267:3, 267:23, 282:15, 297:16, 300:14, 308:15, 312:13, 329:12, 342:10, 350:2, 350:10, 360:18, 375:3, 385:21 <b>quick</b> [7] - 9:15, 150:14, 193:1, 248:9, 255:10, 255:17, 358:22 <b>quicker</b> [2] - 59:14, 69:9 <b>quickly</b> [11] - 31:5, 35:20, 42:4, 45:9, 46:2, 124:8, 287:25, 288:12, 292:5, 305:17, 331:22 <b>quite</b> [16] - 47:2, 77:25, 82:15, 104:24, 242:12, 250:12, 251:14, 260:19, 269:1, 288:2, 303:6, 303:10, 306:24, 322:18, 359:17 <b>quote</b> [40] - 22:6, 22:8, 130:20, 130:22, 131:1, 131:16, 131:20, 132:3, 132:7, 133:5, 133:6, 134:9, 134:13, 160:10, 179:8, 179:9, 179:12, 181:3, 181:7, 183:2, 183:6, 183:7, 183:10, 184:2, 184:6, 184:21, 184:24, 185:6, 185:9, 185:21, 185:23, 186:6, 186:12, 190:1, 190:3, 258:8, 259:2, 330:1, 330:3, 330:18 <b>quoted</b> [1] - 133:15 <b>quotes</b> [1] - 130:19</p>	<p>16:11, 17:16, 49:20, 68:24, 180:25, 226:9, 361:10 <b>raising</b> [2] - 17:16, 362:5 <b>rambling</b> [1] - 372:1 <b>rampant</b> [1] - 306:9 <b>ran</b> [1] - 355:19 <b>Rand</b> [2] - 314:1, 351:15 <b>random</b> [1] - 187:17 <b>randomly</b> [1] - 13:10 <b>range</b> [8] - 22:24, 112:11, 112:24, 245:9, 260:11, 263:8, 275:12, 313:6 <b>ranking</b> [2] - 27:24, 28:3 <b>rankings</b> [1] - 27:20 <b>rapidly</b> [1] - 272:22 <b>rare</b> [4] - 218:11, 218:14, 218:17, 271:17 <b>rate</b> [20] - 34:9, 36:2, 39:1, 42:18, 43:2, 60:25, 62:11, 64:10, 85:8, 114:22, 115:9, 157:15, 157:21, 159:19, 161:21, 171:25, 253:3, 253:8, 297:9, 328:22 <b>rates</b> [17] - 30:25, 32:12, 37:14, 56:16, 78:25, 79:3, 80:2, 115:12, 116:5, 116:14, 123:16, 129:8, 129:9, 158:4, 234:25, 331:7, 345:7 <b>rather</b> [7] - 23:4, 24:16, 26:14, 305:17, 355:1, 356:8, 372:1 <b>ratio</b> [6] - 102:4, 102:5, 102:6, 102:7, 102:23, 102:25 <b>rational</b> [1] - 212:8 <b>ratios</b> [1] - 102:17 <b>RAYBACK</b> [39] - 254:21, 255:25, 261:19, 262:1, 264:3, 264:15, 265:6, 270:7, 270:13, 270:23, 271:10, 273:17, 273:20, 276:3, 276:12, 276:16, 276:19, 277:2, 277:8, 277:15, 277:22, 278:4, 278:7, 278:16,</p>	<p>278:19, 278:25, 279:4, 279:21, 280:6, 280:12, 280:15, 280:24, 281:4, 281:9, 281:14, 281:21, 281:25, 282:5, 282:8 <b>Rayback</b> [1] - 7:16 <b>Rayfield</b> [3] - 372:9, 375:6, 375:11 <b>RAYFIELD</b> [1] - 375:9 <b>Raymond</b> [3] - 365:7, 375:11, 375:17 <b>RE</b> [1] - 1:5 <b>Re</b> [1] - 332:14 <b>re</b> [2] - 157:18, 275:9 <b>Re-Energy</b> [1] - 332:14 <b>re-evaluate</b> [2] - 157:18, 275:9 <b>reach</b> [3] - 138:24, 313:18, 327:2 <b>reached</b> [3] - 82:3, 108:12, 123:10 <b>reaches</b> [1] - 266:9 <b>react</b> [2] - 45:9, 209:20 <b>reacts</b> [1] - 242:19 <b>read</b> [11] - 17:5, 147:1, 153:20, 154:6, 168:20, 279:1, 323:10, 342:25, 348:24, 375:7, 376:25 <b>reading</b> [4] - 154:2, 189:20, 198:18, 207:2 <b>reads</b> [3] - 329:6, 329:13, 344:18 <b>ready</b> [4] - 89:7, 141:15, 204:9, 297:22 <b>real</b> [6] - 16:12, 160:17, 191:22, 322:18, 322:22, 346:6 <b>realistically</b> [2] - 229:9, 229:13 <b>reality</b> [6] - 13:19, 87:23, 260:11, 302:19, 322:17, 359:17 <b>realize</b> [2] - 31:11, 344:2 <b>realized</b> [1] - 24:6 <b>realizing</b> [1] - 343:21 <b>really</b> [6] - 13:25, 15:6, 16:21, 34:19, 40:23, 53:19, 53:20, 58:19, 69:11, 72:13, 88:3, 98:9, 143:21,</p>	<p>145:25, 146:4, 155:20, 161:11, 161:17, 167:13, 176:14, 184:16, 191:14, 206:10, 207:16, 210:2, 210:3, 215:19, 223:20, 238:1, 238:7, 238:12, 239:9, 239:10, 244:5, 246:2, 246:3, 251:18, 254:1, 254:3, 287:16, 314:25, 315:20, 318:15, 342:16, 342:18, 343:22, 344:1, 344:3, 345:25, 348:16, 348:21, 349:8, 349:14, 355:23, 364:1, 365:3, 370:6, 370:18, 374:13, 374:25, 380:17 <b>realtime</b> [4] - 80:7, 124:1, 125:6, 125:25 <b>rearing</b> [1] - 266:12 <b>reason</b> [18] - 39:1, 154:3, 177:10, 177:14, 181:1, 182:15, 193:19, 196:12, 199:3, 210:11, 210:16, 217:20, 234:16, 259:6, 292:12, 294:8, 308:11, 376:16 <b>reasonable</b> [1] - 261:13 <b>reasonably</b> [2] - 115:8, 334:22 <b>reasoned</b> [1] - 343:17 <b>reasoning</b> [2] - 96:25, 153:18 <b>reasons</b> [7] - 40:13, 68:1, 69:23, 69:24, 220:4, 251:9, 255:12 <b>rebuilding</b> [1] - 183:1 <b>rebuttal</b> [16] - 12:18, 49:17, 133:1, 153:4, 153:6, 153:7, 153:9, 165:23, 176:3, 250:11, 261:5, 261:24, 271:3, 271:12, 281:8, 281:18 <b>receipt</b> [1] - 195:2 <b>receive</b> [10] - 4:3, 13:3, 119:3, 119:24, 125:19, 125:21, 126:12, 126:18,</p>	<p>139:22, 169:3 <b>received</b> [14] - 4:15, 24:11, 25:17, 25:22, 27:11, 108:25, 110:1, 110:3, 118:24, 134:11, 154:17, 154:23, 184:20, 196:20 <b>receives</b> [2] - 25:1, 244:21 <b>recent</b> [4] - 40:20, 253:21, 291:2, 353:3 <b>recently</b> [2] - 165:25, 239:3 <b>receptor</b> [2] - 43:19, 56:10 <b>receptors</b> [15] - 42:10, 42:20, 43:1, 43:3, 43:4, 43:22, 44:9, 44:23, 49:10, 56:14, 60:13, 60:18, 61:5, 61:7 <b>RECESS</b> [3] - 130:4, 283:4, 386:7 <b>recharge</b> [3] - 213:15, 230:14, 231:20 <b>recognize</b> [2] - 281:23, 292:2 <b>recognized</b> [4] - 76:14, 266:2, 281:5, 333:12 <b>recognizing</b> [1] - 138:19 <b>recolonization</b> [1] - 266:25 <b>recommend</b> [1] - 156:23 <b>recommendations</b> [4] - 336:25, 337:3, 339:23, 342:1 <b>recommended</b> [6] - 92:19, 111:15, 111:20, 111:23, 111:24, 132:14 <b>recommending</b> [1] - 158:16 <b>recommends</b> [1] - 96:4 <b>reconvene</b> [2] - 282:25, 286:8 <b>record</b> [13] - 4:14, 6:7, 6:19, 7:1, 10:25, 12:10, 119:22, 244:21, 288:11, 291:25, 292:1, 320:11, 329:16 <b>RECORD</b> [4] - 90:22, 179:1, 249:14, 354:21 <b>recorded</b> [4] - 3:11,</p>
<b>R</b>				
<p><b>Rackliffe</b> [1] - 314:15 <b>rain</b> [4] - 78:24, 79:2, 189:5, 318:12 <b>rainfall</b> [1] - 272:19 <b>raise</b> [5] - 6:12, 8:4, 298:2, 305:9, 318:5 <b>raised</b> [8] - 14:19,</p>				

<p>125:9, 208:25, 285:7  <b>recorder</b> [1] - 291:24  <b>recordkeeping</b> [3] - 12:19, 13:11, 123:21  <b>records</b> [3] - 13:10, 357:10, 358:7  <b>recourse</b> [4] - 142:11, 142:12, 142:17, 143:3  <b>recover</b> [3] - 267:17, 295:13, 297:11  <b>recovery</b> [4] - 22:19, 23:2, 336:13, 350:22  <b>Recovery</b> [2] - 24:23, 301:6  <b>recreation</b> [1] - 346:20  <b>recross</b> [1] - 248:10  <b>recyclable</b> [3] - 22:17, 143:8, 151:10  <b>recycle</b> [29] - 19:22, 21:21, 23:18, 25:13, 26:1, 140:6, 142:24, 145:12, 150:22, 153:24, 157:12, 163:15, 167:11, 184:23, 185:16, 296:9, 298:20, 310:1, 324:14, 354:9, 363:21, 371:4, 373:5, 379:9, 379:10, 379:13, 380:1, 380:5, 384:12  <b>recycled</b> [20] - 15:7, 22:25, 23:7, 23:20, 142:16, 145:17, 146:7, 163:19, 174:8, 185:12, 185:15, 302:15, 302:20, 302:23, 313:9, 333:23, 379:14, 379:17, 380:3, 382:22  <b>recycler</b> [2] - 23:11, 173:23  <b>recyclers</b> [2] - 173:16, 174:3  <b>recycling</b> [92] - 15:7, 19:2, 19:7, 20:3, 20:8, 20:24, 21:4, 21:6, 21:10, 22:2, 22:16, 23:10, 24:3, 24:4, 24:6, 24:16, 24:19, 26:9, 27:13, 28:3, 28:5, 28:9, 28:11, 28:14, 142:14, 151:6, 153:24, 154:5, 154:9, 155:9, 157:21, 157:23, 158:4, 161:16,</p>	<p>161:19, 161:21, 162:18, 162:21, 162:24, 162:25, 163:11, 163:23, 165:6, 165:10, 166:12, 166:15, 166:16, 167:25, 173:6, 173:9, 173:13, 173:15, 174:10, 176:24, 178:13, 186:15, 186:22, 293:15, 293:17, 294:20, 294:23, 295:1, 295:5, 295:8, 295:11, 296:5, 297:8, 297:9, 302:6, 303:3, 303:20, 309:15, 309:16, 309:20, 309:23, 309:24, 312:7, 312:9, 315:1, 331:7, 349:21, 359:5, 359:6, 359:9, 372:14, 374:4, 374:5, 382:2, 384:11  <b>Recycling</b> [2] - 2:14, 305:6  <b>red</b> [7] - 63:5, 63:9, 93:25, 103:15, 104:21, 291:2, 291:4  <b>Red</b> [1] - 278:16  <b>redacted</b> [1] - 268:16  <b>redefine</b> [1] - 231:11  <b>redirect</b> [9] - 79:16, 170:11, 174:15, 174:16, 177:21, 177:22, 247:10, 247:11, 248:8  <b>redirected</b> [1] - 294:15  <b>reduce</b> [23] - 19:19, 19:22, 21:20, 22:11, 23:17, 25:12, 145:12, 145:22, 145:24, 148:3, 161:5, 295:6, 297:4, 298:20, 299:14, 302:10, 324:14, 328:22, 329:1, 339:13, 354:8, 372:4, 376:5  <b>reduced</b> [15] - 16:8, 21:25, 28:8, 145:24, 145:25, 146:4, 176:18, 185:9, 185:11, 198:12, 231:20, 297:2, 301:20, 352:18, 374:19  <b>reduces</b> [4] - 24:24,</p>	<p>302:12, 330:25, 339:6  <b>reducing</b> [5] - 20:7, 120:15, 162:21, 163:23, 217:18  <b>reduction</b> [15] - 19:12, 20:2, 21:7, 21:18, 22:22, 22:23, 27:13, 28:10, 28:14, 52:15, 147:23, 173:6, 186:15, 186:22, 234:25  <b>reductions</b> [1] - 377:12  <b>redundancy</b> [3] - 182:23, 211:4, 215:12  <b>redundant</b> [4] - 33:19, 34:16, 45:12, 377:25  <b>ReEnergy</b> [17] - 24:20, 25:23, 151:8, 152:9, 154:8, 154:17, 155:15, 159:20, 162:19, 293:14, 294:19, 311:2, 332:12, 337:21, 340:4, 340:7  <b>ReEnergy's</b> [2] - 151:16, 349:24  <b>reference</b> [11] - 35:3, 218:21, 259:19, 264:12, 265:9, 265:14, 271:1, 272:4, 272:7, 273:5, 280:11  <b>referenced</b> [4] - 255:21, 256:4, 264:11, 266:18  <b>references</b> [5] - 255:3, 256:7, 256:15, 259:20, 268:20  <b>referred</b> [1] - 213:18  <b>referring</b> [5] - 186:12, 208:16, 214:23, 218:21, 274:1  <b>reflect</b> [2] - 83:17, 88:18  <b>reflected</b> [1] - 148:21  <b>reflecting</b> [1] - 227:10  <b>reflective</b> [1] - 54:6  <b>refraction</b> [1] - 33:3  <b>Refuge</b> [1] - 318:23  <b>refusal</b> [1] - 344:6  <b>refuse</b> [3] - 305:21, 321:21, 322:4  <b>regard</b> [15] - 14:24, 115:22, 117:13, 118:21, 120:25, 122:11, 123:1, 144:11, 144:12,</p>	<p>210:1, 221:2, 260:15, 260:17, 338:12, 376:8  <b>regarding</b> [10] - 136:18, 152:22, 192:5, 192:15, 252:4, 281:12, 322:23, 325:24, 329:1, 329:12  <b>regardless</b> [2] - 140:10, 323:23  <b>regards</b> [2] - 218:6, 218:20  <b>regenerable</b> [2] - 243:1, 243:5  <b>regime</b> [2] - 272:12, 275:16  <b>Region</b> [1] - 18:14  <b>region</b> [4] - 18:17, 213:17, 377:13, 377:15  <b>Regional</b> [1] - 351:17  <b>regional</b> [7] - 18:13, 38:1, 40:17, 43:14, 45:25, 92:22, 259:15  <b>regionally</b> [1] - 46:17  <b>registered</b> [1] - 382:8  <b>Registry</b> [2] - 352:2, 352:3  <b>regrets</b> [1] - 366:1  <b>regs</b> [1] - 234:9  <b>regular</b> [4] - 125:2, 137:1, 197:21, 218:25  <b>regularly</b> [6] - 23:16, 127:24, 132:4, 169:8, 356:12, 358:9  <b>regulated</b> [1] - 378:6  <b>regulates</b> [2] - 103:7, 118:24  <b>regulating</b> [1] - 337:6  <b>regulations</b> [9] - 176:5, 186:3, 194:22, 313:17, 314:4, 339:11, 355:11, 372:18, 372:19  <b>regulatory</b> [6] - 12:16, 26:21, 146:10, 252:4, 277:12, 364:2  <b>rehabilitating</b> [1] - 266:14  <b>reignited</b> [1] - 194:16  <b>Reilly</b> [1] - 8:8  <b>rein</b> [1] - 334:18  <b>reject</b> [5] - 195:14, 195:17, 324:21, 325:8, 330:24  <b>rejected</b> [5] - 133:18, 134:2, 196:17,</p>	<p>197:19, 220:17  <b>relate</b> [2] - 251:23, 323:18  <b>related</b> [16] - 29:20, 49:19, 61:14, 76:19, 90:13, 91:19, 119:19, 120:19, 120:20, 120:23, 122:11, 227:14, 231:22, 243:10, 243:14, 246:20  <b>relates</b> [1] - 164:7  <b>relating</b> [1] - 114:3  <b>relationship</b> [2] - 293:22, 376:17  <b>relationships</b> [1] - 167:15  <b>relative</b> [7] - 30:23, 38:8, 39:2, 39:4, 164:16, 213:18, 296:23  <b>relatively</b> [16] - 19:18, 35:12, 35:19, 38:21, 38:23, 40:16, 43:15, 46:12, 96:13, 97:1, 97:6, 97:9, 184:13, 205:24, 213:20, 247:24  <b>relax</b> [1] - 48:6  <b>release</b> [5] - 56:12, 227:24, 232:1, 232:11, 378:5  <b>released</b> [3] - 85:9, 263:5, 263:18  <b>releases</b> [2] - 56:12, 231:23  <b>releasing</b> [1] - 268:1  <b>relegated</b> [1] - 266:8  <b>relevance</b> [3] - 6:3, 277:20, 279:21  <b>relevancy</b> [2] - 193:21, 193:22  <b>relevant</b> [7] - 41:17, 90:9, 269:10, 280:5, 286:23, 287:2, 378:15  <b>relocate</b> [1] - 53:8  <b>relocated</b> [1] - 50:10  <b>rely</b> [4] - 22:10, 140:15, 169:10, 329:24  <b>relying</b> [1] - 177:4  <b>remain</b> [3] - 40:16, 99:15, 213:20  <b>remainder</b> [1] - 146:16  <b>remaining</b> [5] - 26:20, 170:21, 171:9, 257:3, 337:24  <b>remains</b> [1] - 183:4  <b>remedial</b> [12] - 44:21,</p>
---	---	--	--	--

44:22, 184:5, 184:7, 184:17, 214:3, 214:4, 214:7, 227:17, 227:25, 228:21, 228:23 <b>Remediation</b> [1] - 288:20 <b>remediation</b> [3] - 42:14, 206:24, 247:13 <b>remember</b> [11] - 52:6, 130:10, 141:24, 174:16, 217:25, 218:1, 240:12, 350:12, 355:1, 370:1, 381:12 <b>reminded</b> [1] - 346:9 <b>reminds</b> [1] - 372:12 <b>remote</b> [1] - 227:14 <b>remotely</b> [1] - 122:24 <b>removal</b> [12] - 96:21, 105:20, 128:7, 174:10, 205:17, 241:24, 242:1, 243:15, 251:2, 266:4, 266:9, 377:8 <b>removals</b> [1] - 266:19 <b>remove</b> [4] - 119:9, 124:12, 207:23, 302:22 <b>removed</b> [5] - 24:16, 334:15, 339:4, 362:17, 362:21 <b>removing</b> [1] - 377:22 <b>render</b> [1] - 275:4 <b>renewable</b> [2] - 301:19, 311:17 <b>Renewal</b> [1] - 278:13 <b>repair</b> [1] - 184:12 <b>repeat</b> [4] - 121:15, 182:22, 186:18, 188:25 <b>rephrase</b> [1] - 194:11 <b>replaced</b> [2] - 188:17, 188:21 <b>replacement</b> [2] - 192:11, 313:19 <b>replaces</b> [1] - 118:6 <b>replacing</b> [1] - 219:12 <b>replenished</b> [1] - 254:16 <b>reply</b> [2] - 271:12, 327:18 <b>Report</b> [1] - 166:22 <b>report</b> [9] - 24:1, 128:19, 152:10, 170:24, 171:3, 179:17, 332:18, 348:22, 351:25 <b>reported</b> [3] - 34:24, 154:15, 294:24 <b>REPORTER</b> [1] - 255:15 <b>reporting</b> [5] - 128:11, 129:19, 131:24, 239:14, 239:17 <b>Reporting</b> [2] - 3:13, 285:8 <b>reports</b> [23] - 12:22, 13:4, 13:6, 117:7, 125:23, 131:17, 131:19, 131:22, 131:25, 137:22, 151:14, 154:7, 154:8, 161:19, 169:6, 170:21, 170:25, 171:3, 177:1, 189:21, 231:18, 244:16, 244:22 <b>reprehensible</b> [1] - 347:5 <b>represent</b> [1] - 7:16 <b>representation</b> [1] - 168:21 <b>representative</b> [2] - 168:22, 342:13 <b>representatives</b> [1] - 168:23 <b>represented</b> [3] - 4:11, 33:9, 168:13 <b>representing</b> [3] - 7:21, 342:14, 365:14 <b>represents</b> [1] - 346:6 <b>reproduce</b> [1] - 385:17 <b>reproduction</b> [1] - 266:23 <b>reputable</b> [1] - 314:3 <b>request</b> [5] - 10:17, 142:19, 169:15, 212:9, 342:22 <b>requested</b> [4] - 149:22, 197:6, 259:11, 327:16 <b>requesting</b> [2] - 110:3, 259:9 <b>requests</b> [1] - 337:4 <b>require</b> [18] - 52:11, 55:9, 55:17, 60:8, 71:21, 72:20, 80:12, 86:12, 87:9, 104:9, 121:1, 123:21, 161:4, 208:9, 211:25, 223:4, 227:21, 331:3 <b>required</b> [23] - 10:19, 27:5, 89:20, 91:24, 101:6, 102:17, 104:10, 113:6, 116:22, 123:23, 127:1, 157:10, 176:23, 192:9, 192:17, 200:3, 203:17, 203:21, 203:24, 217:5, 222:4, 224:3 <b>requirement</b> [9] - 20:24, 102:25, 139:19, 158:5, 167:10, 177:24, 211:13, 211:15, 224:17 <b>requirements</b> [27] - 19:16, 21:2, 25:10, 26:21, 51:19, 55:8, 55:9, 55:11, 56:1, 86:1, 88:4, 101:22, 101:23, 102:20, 108:9, 126:24, 146:10, 195:12, 200:4, 220:12, 221:4, 221:24, 224:5, 329:5, 329:10, 330:19 <b>requires</b> [8] - 11:8, 86:7, 102:3, 102:6, 153:11, 163:19, 198:5, 242:5 <b>requiring</b> [5] - 22:18, 24:25, 26:10, 157:12, 211:24 <b>research</b> [7] - 249:1, 250:21, 250:25, 253:22, 266:16, 271:7 <b>reserve</b> [3] - 149:13, 149:14, 198:10 <b>reserved</b> [1] - 345:21 <b>reside</b> [4] - 3:1, 253:3, 264:25, 294:8 <b>resided</b> [1] - 10:12 <b>residence</b> [1] - 287:21 <b>residences</b> [3] - 120:7, 238:25 <b>resident</b> [7] - 4:9, 267:2, 301:8, 335:6, 361:5, 361:25, 384:5 <b>residential</b> [1] - 173:20 <b>residents</b> [7] - 134:16, 330:8, 330:12, 330:17, 335:10, 340:15, 354:12 <b>resides</b> [3] - 12:8, 333:23, 334:16 <b>residual</b> [7] - 22:2, 26:8, 162:17, 166:23, 167:9, 303:2, 313:14 <b>residuals</b> [9] - 23:2, 25:2, 26:12, 26:18, 140:3, 140:9, 140:13, 164:9, 167:8 <b>residue</b> [8] - 25:3, 25:4, 25:24, 126:13, 135:18, 157:12, 200:25, 332:5 <b>residues</b> [2] - 175:13, 302:12 <b>Residues</b> [1] - 338:22 <b>resilience</b> [2] - 252:15, 280:19 <b>resilient</b> [1] - 275:14 <b>resistivity</b> [2] - 33:3, 33:6 <b>resolve</b> [1] - 324:24 <b>Resolve</b> [10] - 10:10, 10:11, 10:19, 11:25, 17:18, 17:20, 168:17, 342:11, 342:15 <b>resolved</b> [1] - 179:16 <b>Resource</b> [5] - 49:12, 50:20, 298:12, 328:14, 372:15 <b>resource</b> [10] - 9:9, 19:8, 91:7, 91:16, 91:23, 92:8, 113:4, 167:14, 328:2, 368:14 <b>Resources</b> [7] - 2:15, 92:10, 109:9, 109:13, 286:20, 289:23, 291:18 <b>resources</b> [13] - 98:10, 109:20, 110:22, 112:2, 112:22, 245:20, 245:21, 254:15, 287:7, 320:25, 346:4, 368:25, 370:16 <b>respect</b> [1] - 382:3 <b>respectful</b> [1] - 385:5 <b>respectfully</b> [1] - 156:18 <b>respectively</b> [1] - 134:12 <b>RESPOND</b> [2] - 6:15, 298:5 <b>respond</b> [10] - 8:11, 17:5, 49:18, 124:8, 141:23, 160:24, 255:2, 262:2, 262:3, 271:11 <b>responded</b> [1] - 197:17 <b>responder</b> [1] - 366:20 <b>responders</b> [1] - 197:5 <b>responding</b> [1] - 261:24 <b>response</b> [6] - 109:5, 119:18, 243:9, 259:13, 326:21, 333:11 <b>responses</b> [1] - 110:4 <b>responsibilities</b> [3] - 12:2, 18:15, 113:20 <b>responsibility</b> [4] - 128:6, 205:18, 322:10, 324:24 <b>responsible</b> [7] - 54:12, 90:16, 131:10, 150:1, 315:8, 315:15, 364:24 <b>rest</b> [2] - 169:4, 267:20 <b>resting</b> [1] - 188:2 <b>Restoration</b> [4] - 252:12, 266:1, 266:7, 318:16 <b>restore</b> [3] - 266:3, 268:3, 352:20 <b>restoring</b> [1] - 266:15 <b>restrict</b> [2] - 146:11, 297:13 <b>restricted</b> [1] - 55:7 <b>restriction</b> [7] - 104:20, 108:11, 108:14, 108:15, 108:19, 205:6, 219:18 <b>restrictions</b> [1] - 303:18 <b>restrictive</b> [1] - 49:6 <b>rests</b> [1] - 188:5 <b>result</b> [13] - 9:21, 15:20, 53:10, 94:14, 96:16, 105:21, 148:8, 163:17, 232:1, 263:13, 289:22, 330:11, 338:20 <b>resulting</b> [4] - 20:12, 23:7, 28:21, 345:2 <b>results</b> [8] - 22:14, 93:9, 157:10, 208:11, 208:13, 224:4, 225:22, 357:2 <b>resume</b> [7] - 9:10, 18:24, 29:18, 48:24, 91:15, 114:2, 130:1 <b>retards</b> [1] - 35:16 <b>retention</b> [3] - 96:21, 105:20, 245:11 <b>return</b> [1] - 267:8 <b>returned</b> [2] - 267:6, 346:8 <b>reuse</b> [13] - 19:22, 20:3, 21:20, 23:18,
--



<p>25:7, 25:12, 28:14, 173:6, 184:23, 298:21, 302:6, 324:14, 354:9</p> <p><b>reused</b> [8] - 23:20, 25:5, 26:5, 145:17, 146:8, 152:18, 302:13, 302:20</p> <p><b>reusing</b> [3] - 20:8, 162:21, 312:7</p> <p><b>revealing</b> [1] - 326:12</p> <p><b>reveals</b> [1] - 24:3</p> <p><b>revenue</b> [7] - 10:21, 149:2, 149:17, 149:18, 159:1, 159:24, 167:23</p> <p><b>revenues</b> [2] - 11:3, 11:4</p> <p><b>review</b> [20] - 6:2, 13:9, 27:19, 62:4, 89:22, 109:8, 109:11, 109:21, 111:11, 111:15, 126:4, 132:4, 177:1, 192:12, 222:14, 245:20, 245:3, 259:9, 261:3</p> <p><b>reviewed</b> [10] - 13:3, 85:4, 89:3, 108:16, 109:17, 111:13, 111:17, 157:22, 273:1</p> <p><b>reviewing</b> [1] - 179:19</p> <p><b>RFP</b> [3] - 17:8, 17:22</p> <p><b>Rich</b> [3] - 285:3, 293:4, 293:13</p> <p><b>Richard</b> [3] - 1:24, 3:8, 314:15</p> <p><b>rid</b> [4] - 359:2, 368:9, 371:12, 382:1</p> <p><b>ridge</b> [7] - 31:12, 37:20, 37:22, 88:5, 230:12, 230:15</p> <p><b>RIDGE</b> [1] - 1:6</p> <p><b>Ridge</b> [158] - 2:10, 6:24, 7:14, 7:18, 10:8, 13:5, 13:20, 14:3, 15:5, 21:12, 21:23, 21:24, 22:13, 23:4, 24:10, 24:12, 25:1, 25:18, 25:22, 26:5, 26:18, 27:12, 27:19, 27:22, 28:3, 28:16, 28:23, 29:10, 29:20, 48:14, 50:13, 51:4, 51:7, 51:14, 52:3, 53:3, 68:10, 70:6, 70:7, 74:14, 83:16, 113:19, 114:8, 114:15,</p>	<p>115:13, 115:20, 119:2, 119:17, 121:2, 127:12, 129:3, 137:20, 138:24, 139:8, 139:15, 139:25, 146:13, 152:17, 153:13, 154:17, 155:8, 155:11, 155:18, 155:25, 157:17, 161:25, 164:14, 164:18, 164:23, 165:1, 165:17, 165:19, 168:10, 169:3, 172:23, 177:17, 185:3, 194:5, 200:17, 201:11, 202:16, 214:6, 221:9, 240:5, 267:14, 268:6, 284:12, 288:22, 295:20, 296:12, 298:13, 301:13, 303:6, 303:7, 303:9, 303:15, 304:19, 306:18, 307:10, 307:12, 307:22, 313:16, 315:18, 320:8, 322:7, 325:4, 325:19, 326:1, 326:7, 328:17, 335:15, 336:1, 336:19, 337:25, 338:4, 338:22, 338:23, 339:9, 339:22, 340:11, 341:11, 343:9, 343:14, 344:7, 345:5, 347:8, 347:12, 348:3, 348:5, 349:5, 349:12, 350:25, 352:19, 353:1, 353:13, 354:11, 354:14, 358:20, 363:15, 364:23, 365:20, 366:8, 366:17, 367:16, 368:20, 368:21, 369:4, 374:3, 374:24, 374:25, 375:25, 376:6, 377:9, 378:14, 378:20, 379:19, 380:7</p> <p><b>Ridgely</b> [3] - 340:20, 343:11, 343:15</p> <p><b>right-hand</b> [1] - 274:6</p> <p><b>rights</b> [9] - 11:2, 315:14, 344:18,</p>	<p>344:21, 345:9, 345:18, 345:21, 347:6, 347:9</p> <p><b>rigid</b> [1] - 295:15</p> <p><b>ripping</b> [1] - 174:12</p> <p><b>riprap</b> [1] - 84:3</p> <p><b>rise</b> [1] - 213:25</p> <p><b>riser</b> [1] - 80:23</p> <p><b>risk</b> [7] - 191:16, 260:13, 260:15, 260:18, 260:20, 274:11, 275:6</p> <p><b>risks</b> [3] - 272:21, 273:9, 275:9</p> <p><b>risky</b> [1] - 274:15</p> <p><b>River</b> [35] - 112:12, 112:19, 226:7, 251:2, 252:11, 252:12, 252:16, 253:25, 257:1, 257:4, 257:6, 257:8, 257:12, 257:25, 260:25, 263:8, 266:1, 266:6, 268:1, 276:7, 318:11, 318:15, 319:1, 321:17, 325:2, 336:10, 336:12, 351:8, 351:19, 352:6, 353:2, 353:7, 353:8, 357:23, 365:25</p> <p><b>river</b> [36] - 112:23, 253:19, 253:24, 254:1, 254:3, 254:4, 257:5, 263:3, 264:19, 264:25, 266:15, 266:22, 267:2, 268:2, 268:4, 301:7, 317:2, 317:14, 318:11, 318:14, 318:20, 319:3, 319:14, 319:16, 319:17, 319:19, 320:25, 323:10, 323:16, 336:14, 336:16, 358:5, 358:8, 358:10, 366:3, 366:7</p> <p><b>river-specific</b> [1] - 257:5</p> <p><b>rivers</b> [7] - 110:9, 112:14, 252:21, 253:15, 257:7, 316:11, 316:18</p> <p><b>Road</b> [4] - 179:12, 312:22, 361:16, 379:1</p> <p><b>road</b> [4] - 11:14, 144:15, 304:13,</p>	<p>309:21</p> <p><b>roads</b> [7] - 50:9, 98:18, 98:21, 290:7, 324:9, 368:12, 370:20</p> <p><b>roadway</b> [2] - 115:23, 129:11</p> <p><b>roadways</b> [4] - 117:11, 121:17, 121:20, 180:18</p> <p><b>Rob</b> [1] - 8:5</p> <p><b>Robert</b> [1] - 355:6</p> <p><b>robust</b> [12] - 59:15, 63:19, 66:25, 68:19, 69:8, 71:7, 113:9, 123:6, 129:19, 203:11, 203:12, 215:4</p> <p><b>robustness</b> [2] - 68:3, 214:22</p> <p><b>rock</b> [4] - 30:21, 33:12, 227:9, 227:10</p> <p><b>rocks</b> [1] - 70:1</p> <p><b>rocky</b> [1] - 253:2</p> <p><b>role</b> [2] - 6:23, 247:17</p> <p><b>roles</b> [2] - 48:18, 288:21</p> <p><b>roll</b> [4] - 167:17, 167:19, 168:3, 195:23</p> <p><b>rolled</b> [3] - 72:2, 73:4, 73:5</p> <p><b>rookie</b> [1] - 216:18</p> <p><b>room</b> [7] - 7:4, 122:25, 128:16, 287:1, 287:14, 307:16, 365:21</p> <p><b>rotation</b> [1] - 356:17</p> <p><b>roughly</b> [5] - 115:4, 115:7, 123:13, 237:21, 373:2</p> <p><b>round</b> [1] - 228:5</p> <p><b>route</b> [1] - 194:14</p> <p><b>Route</b> [9] - 117:2, 117:3, 179:11, 180:8, 180:16, 226:7, 239:8</p> <p><b>Routes</b> [1] - 179:22</p> <p><b>routine</b> [1] - 45:6</p> <p><b>Rubbish</b> [1] - 305:5</p> <p><b>rule</b> [11] - 19:7, 19:15, 19:23, 20:23, 69:7, 176:24, 177:23, 178:8, 178:15, 194:10, 254:23</p> <p><b>Rule</b> [4] - 100:19, 101:3, 102:13, 178:14</p> <p><b>rules</b> [48] - 14:24, 30:3, 42:21, 44:14,</p>	<p>49:8, 49:9, 51:19, 53:23, 55:8, 55:15, 55:17, 55:25, 57:8, 58:19, 58:24, 59:1, 59:10, 59:15, 59:16, 60:8, 66:9, 66:23, 68:18, 69:1, 78:17, 80:12, 85:25, 86:11, 87:9, 88:4, 90:10, 143:4, 176:11, 177:16, 178:18, 190:5, 190:7, 190:14, 210:17, 212:6, 217:4, 255:5, 265:22, 281:6, 282:1, 313:16, 317:20, 341:5</p> <p><b>Rules</b> [3] - 3:19, 162:21, 285:18</p> <p><b>rumbling</b> [1] - 324:9</p> <p><b>rumors</b> [1] - 384:14</p> <p><b>Run</b> [1] - 109:12</p> <p><b>run</b> [20] - 41:7, 45:15, 56:17, 56:23, 76:8, 76:11, 108:22, 131:11, 214:1, 252:10, 254:2, 266:8, 268:2, 307:3, 307:8, 344:3, 349:5, 356:16, 371:17</p> <p><b>runaway</b> [1] - 269:25</p> <p><b>rung</b> [4] - 303:16, 362:15, 371:3</p> <p><b>rungs</b> [1] - 362:16</p> <p><b>running</b> [8] - 77:2, 122:23, 230:17, 243:21, 248:7, 249:8, 314:3, 356:12</p> <p><b>runoff</b> [5] - 84:8, 84:9, 273:8, 275:6, 275:18</p> <p><b>runs</b> [5] - 31:13, 78:8, 131:12, 189:5, 267:12</p> <p><b>rut</b> [1] - 95:19</p> <p><b>Ruth</b> [3] - 1:20, 3:6, 285:1</p> <p><b>Ryan</b> [4] - 325:11, 328:12, 349:3, 363:11</p>
<b>S</b>				
<p><b>S-020700-WD-BI-N</b> [1] - 2:15</p> <p><b>saddened</b> [1] - 343:21</p> <p><b>sadly</b> [1] - 340:17</p> <p><b>safe</b> [10] - 115:21, 117:11, 118:17, 128:7, 129:7, 185:19, 309:6,</p>				

<p>310:11, 351:20  <b>safely</b> [1] - 304:6  <b>safer</b> [1] - 182:19  <b>safest</b> [1] - 383:14  <b>safety</b> [12] - 86:8, 86:15, 86:18, 127:11, 182:24, 229:10, 240:8, 249:2, 344:24, 345:10, 373:18  <b>sags</b> [1] - 82:14  <b>salamanders</b> [6] - 107:15, 107:17, 107:18, 218:22, 218:25, 219:3  <b>salar</b> [1] - 258:20  <b>sales</b> [1] - 221:8  <b>salmo</b> [1] - 258:20  <b>salmon</b> [37] - 92:6, 109:4, 109:15, 110:8, 110:20, 111:10, 111:22, 192:6, 192:15, 193:6, 252:9, 252:19, 253:9, 253:12, 254:1, 254:4, 254:9, 254:19, 255:23, 257:2, 257:3, 257:12, 258:1, 258:20, 258:23, 259:18, 259:19, 259:23, 260:16, 260:17, 260:19, 261:7, 263:24, 275:10, 336:13, 350:23, 352:21  <b>salt</b> [2] - 34:9, 34:10  <b>Samantha</b> [1] - 365:9  <b>sample</b> [2] - 33:8, 358:10  <b>sampled</b> [1] - 208:10  <b>samples</b> [6] - 33:11, 71:18, 89:15, 357:2, 357:3  <b>sampling</b> [7] - 198:5, 199:10, 208:10, 208:12, 208:13, 209:6, 228:1  <b>Sanborn</b> [2] - 8:7, 82:24  <b>sand</b> [20] - 42:23, 43:14, 45:3, 45:6, 57:9, 57:11, 64:16, 66:3, 66:7, 67:16, 67:18, 68:13, 72:6, 72:19, 72:23, 73:18, 73:22, 75:5, 185:23, 186:3  <b>sandblast</b> [2] -</p>	<p>185:17, 223:25  <b>sandblasting</b> [2] - 224:1, 224:2  <b>sandwiched</b> [1] - 45:4  <b>sandy</b> [4] - 43:10, 43:13, 44:2  <b>SAPPI</b> [1] - 151:18  <b>Sarah</b> [2] - 312:18  <b>Sargent</b> [2] - 363:14, 371:18  <b>satisfies</b> [2] - 329:9, 330:19  <b>saturate</b> [1] - 66:11  <b>Saucier</b> [2] - 313:24, 314:15  <b>SAUER</b> [3] - 156:5, 156:8, 158:7  <b>Sauer</b> [3] - 1:19, 3:2, 284:22  <b>savings</b> [1] - 304:9  <b>saw</b> [7] - 74:9, 77:10, 80:21, 143:8, 209:1, 209:18, 219:5  <b>scale</b> [13] - 13:13, 13:15, 50:10, 65:10, 65:11, 66:17, 68:5, 127:12, 212:11, 223:5, 223:6, 310:9, 312:9  <b>scaled</b> [1] - 121:3  <b>scales</b> [11] - 53:8, 65:8, 98:18, 127:18, 127:21, 127:22, 128:13, 212:21, 222:22, 222:24, 290:7  <b>scans</b> [1] - 198:24  <b>scape</b> [1] - 253:20  <b>Scarborough</b> [2] - 2:25, 284:20  <b>scenario</b> [1] - 206:6  <b>scenarios</b> [3] - 60:22, 190:16, 335:24  <b>scene</b> [1] - 194:20  <b>schedule</b> [5] - 48:7, 129:24, 248:7, 250:6, 385:13  <b>scheduled</b> [2] - 5:5, 130:8  <b>scheme</b> [1] - 42:15  <b>School</b> [4] - 351:15, 351:16  <b>school</b> [1] - 305:14  <b>schools</b> [2] - 298:24, 351:10  <b>SCHROEDER</b> [1] - 340:25  <b>Schroeder</b> [4] - 335:4, 340:20, 340:24, 341:2</p>	<p><b>science</b> [12] - 9:7, 9:8, 18:19, 48:22, 91:3, 91:4, 171:7, 251:13, 251:18, 252:5, 261:15, 268:19  <b>scientific</b> [5] - 35:25, 111:14, 185:25, 307:13, 351:12  <b>scientifically</b> [2] - 310:6, 352:22  <b>scientist</b> [5] - 90:25, 91:6, 251:12, 265:19, 350:21  <b>scientists</b> [2] - 269:24, 383:5  <b>Scientists</b> [1] - 91:1  <b>Scientists'</b> [1] - 94:10  <b>scope</b> [1] - 251:8  <b>score</b> [1] - 245:17  <b>Scott</b> [6] - 297:20, 298:8, 298:9, 298:10, 299:18, 299:24  <b>Scouts</b> [2] - 298:23  <b>screen</b> [1] - 178:10  <b>screened</b> [1] - 174:1  <b>screening</b> [1] - 51:20  <b>scrub/shrub</b> [3] - 99:17, 246:6, 246:11  <b>scrub/shrubs</b> [1] - 105:8  <b>Sea</b> [1] - 109:12  <b>sea</b> [7] - 252:10, 253:6, 253:7, 254:2, 254:10, 266:8, 267:11  <b>Sea-Run</b> [1] - 109:12  <b>sea-run</b> [3] - 252:10, 254:2, 266:8  <b>seal</b> [1] - 67:13  <b>sealing</b> [1] - 67:21  <b>seam</b> [1] - 73:10  <b>seamed</b> [2] - 72:3, 73:7  <b>seaming</b> [1] - 73:7  <b>seams</b> [2] - 73:13, 188:13  <b>Sean</b> [1] - 365:8  <b>season</b> [1] - 71:5  <b>seasonal</b> [2] - 294:10, 373:19  <b>seasonally</b> [1] - 373:21  <b>seat</b> [1] - 292:1  <b>secluded</b> [1] - 310:14  <b>second</b> [25] - 35:25, 36:1, 53:25, 58:23, 69:20, 71:22, 120:20, 122:11, 124:16, 142:10,</p>	<p>152:20, 179:3, 179:23, 182:18, 182:21, 184:21, 195:9, 211:5, 211:6, 241:15, 253:15, 287:23, 292:25, 293:5  <b>secondary</b> [11] - 45:5, 45:10, 69:16, 69:25, 70:12, 70:13, 71:24, 176:6, 176:7, 211:3, 242:8  <b>seconds</b> [5] - 304:15, 317:18, 357:18, 357:20, 357:21  <b>secretly</b> [1] - 382:18  <b>Section</b> [3] - 329:6, 329:13, 330:5  <b>section</b> [7] - 20:7, 133:12, 190:5, 273:15, 329:22, 344:18, 346:16  <b>sections</b> [2] - 199:1, 199:2  <b>Sections</b> [4] - 3:16, 3:18, 285:15, 285:17  <b>sector</b> [2] - 8:22  <b>secure</b> [2] - 122:13, 344:16  <b>securely</b> [1] - 377:21  <b>sediment</b> [3] - 96:20, 105:19, 245:10  <b>sedimentation</b> [1] - 290:8  <b>see</b> [96] - 16:2, 16:22, 22:14, 32:20, 41:9, 45:7, 65:9, 67:10, 71:2, 71:6, 72:7, 72:19, 73:18, 73:21, 75:1, 75:10, 80:7, 80:19, 86:14, 86:18, 95:6, 95:11, 101:7, 104:13, 104:24, 112:6, 112:7, 114:7, 117:18, 117:19, 117:20, 119:12, 119:22, 120:13, 122:7, 122:9, 123:16, 126:25, 128:17, 128:18, 142:7, 150:14, 152:11, 153:6, 155:23, 181:1, 182:14, 182:20, 195:17, 196:16, 204:25, 209:6, 219:2, 233:2, 233:10, 244:9, 246:3, 247:24, 250:16, 251:5,</p>	<p>266:20, 266:22, 266:25, 267:2, 271:9, 278:13, 278:22, 289:5, 289:18, 290:5, 291:7, 291:9, 291:10, 297:5, 299:10, 303:9, 303:11, 306:22, 311:12, 312:17, 320:18, 339:18, 341:9, 349:14, 349:15, 353:16, 356:10, 359:16, 366:13, 367:3, 367:22, 368:4, 368:11, 382:18  <b>seeing</b> [11] - 141:20, 142:8, 142:15, 168:3, 231:21, 232:21, 264:8, 289:4, 366:16, 367:15, 380:9  <b>seeks</b> [1] - 317:16  <b>seem</b> [3] - 118:16, 212:24, 322:18  <b>Seepage</b> [1] - 324:14  <b>segment</b> [1] - 263:1  <b>segregate</b> [2] - 173:22, 295:10  <b>seismic</b> [1] - 33:3  <b>select</b> [1] - 13:10  <b>selected</b> [3] - 40:13, 59:19, 97:18  <b>selecting</b> [1] - 183:5  <b>selection</b> [3] - 49:22, 83:16, 97:15  <b>selective</b> [1] - 117:24  <b>selectively</b> [1] - 117:22  <b>sell</b> [1] - 384:19  <b>semi</b> [2] - 222:3, 222:17  <b>send</b> [12] - 13:4, 89:16, 151:12, 151:15, 154:21, 224:4, 303:24, 304:2, 310:19, 327:24, 373:6, 385:20  <b>sending</b> [1] - 338:17  <b>senior</b> [2] - 8:23, 48:9  <b>sense</b> [14] - 59:3, 95:17, 106:3, 163:1, 180:22, 180:24, 197:1, 215:6, 304:13, 328:21, 336:13, 359:14, 380:6, 380:7  <b>sensitive</b> [19] - 42:9,</p>
---	---	---	---	---

42:19, 42:20, 42:25, 43:2, 43:4, 43:19, 43:22, 44:9, 44:23, 49:10, 56:10, 56:13, 60:13, 60:18, 61:5, 61:7, 197:3, 333:4 <b>sent</b> [9] - 3:23, 109:8, 110:2, 125:23, 157:16, 285:22, 305:15, 332:14, 338:23 <b>sentences</b> [1] - 192:6 <b>separate</b> [5] - 99:7, 106:11, 167:2, 167:19, 287:14 <b>separated</b> [2] - 151:1, 173:19 <b>separation</b> [6] - 22:18, 72:14, 72:16, 168:4, 305:21, 307:2 <b>Septage</b> [1] - 2:12 <b>September</b> [4] - 3:22, 79:24, 285:21, 290:2 <b>sequence</b> [1] - 63:22 <b>series</b> [6] - 50:15, 211:6, 229:22, 246:17, 260:5, 357:1 <b>serious</b> [2] - 170:16, 349:21 <b>serve</b> [7] - 163:12, 192:11, 302:10, 304:3, 311:7, 313:1, 313:3 <b>served</b> [3] - 8:22, 8:24, 184:24 <b>service</b> [1] - 313:20 <b>Services</b> [6] - 192:9, 192:15, 256:6, 261:4, 262:11, 289:12 <b>service</b> [3] - 116:19, 355:9, 376:16 <b>services</b> [5] - 10:24, 11:6, 20:20, 313:7, 366:21 <b>SERVICES</b> [1] - 1:5 <b>Services</b> [26] - 2:8, 2:11, 4:5, 7:19, 7:22, 12:5, 12:15, 114:10, 130:25, 132:21, 133:5, 133:9, 244:19, 284:11, 286:4, 286:18, 289:15, 336:18, 337:2, 337:10, 338:3, 338:5, 339:15, 372:15, 378:22 <b>servicing</b> [2] - 360:5, 375:15	<b>session</b> [6] - 249:12, 283:1, 284:8, 292:17, 386:1, 386:3 <b>SESSION</b> [1] - 284:1 <b>set</b> [20] - 14:15, 19:6, 89:5, 89:7, 101:20, 127:5, 131:21, 132:1, 153:16, 154:3, 169:2, 191:10, 204:12, 204:19, 205:4, 205:12, 214:9, 219:17, 249:7, 308:14 <b>setback</b> [5] - 55:7, 55:8, 55:11, 55:16, 55:18 <b>setbacks</b> [5] - 55:10, 55:22, 55:24, 193:2, 193:4 <b>sets</b> [2] - 343:25, 349:9 <b>setting</b> [3] - 90:15, 154:4, 240:2 <b>settle</b> [1] - 86:21 <b>settlement</b> [4] - 85:23, 86:20, 86:25, 203:3 <b>settles</b> [1] - 82:12 <b>Sevee</b> [14] - 29:3, 29:7, 48:10, 52:22, 54:18, 97:23, 179:4, 179:8, 189:20, 191:23, 202:9, 213:4, 225:9, 247:12 <b>SEVEE</b> [18] - 29:22, 47:20, 179:17, 181:10, 181:19, 182:7, 182:20, 183:14, 183:25, 184:8, 191:23, 213:11, 226:2, 227:6, 228:1, 230:10, 232:13, 247:20 <b>seven</b> [10] - 32:14, 43:4, 69:20, 71:21, 119:21, 172:3, 294:18, 340:8, 366:14, 377:16 <b>seventies</b> [1] - 370:3 <b>several</b> [13] - 13:8, 14:17, 48:16, 149:25, 194:2, 194:9, 228:16, 229:7, 266:5, 330:4, 331:15, 367:18, 371:9 <b>severe</b> [1] - 260:12 <b>sewers</b> [1] - 374:1 <b>shad</b> [2] - 254:8,	266:22 <b>shaley</b> [1] - 36:8 <b>shaley-type</b> [1] - 36:8 <b>shall</b> [4] - 133:5, 317:25, 329:7, 329:14 <b>shallow</b> [4] - 31:25, 184:13, 189:14, 210:25 <b>shape</b> [2] - 304:17, 371:10 <b>shaping</b> [1] - 26:5 <b>share</b> [4] - 310:7, 325:1, 349:2, 361:22 <b>shear</b> [1] - 33:14 <b>sheath</b> [1] - 81:1 <b>sheds</b> [1] - 368:10 <b>sheet</b> [4] - 18:10, 189:15, 236:18, 364:11 <b>sheets</b> [9] - 72:1, 284:7, 287:13, 287:15, 292:16, 310:9, 312:9, 314:16 <b>shelf</b> [2] - 291:24, 371:21 <b>shellfish</b> [1] - 346:20 <b>Sherry</b> [2] - 347:20, 350:11 <b>Shield</b> [1] - 278:16 <b>shifts</b> [2] - 267:2, 272:20 <b>shingles</b> [4] - 368:6, 368:10, 379:11, 379:14 <b>ship</b> [4] - 155:2, 310:21, 349:6, 371:7 <b>shipping</b> [2] - 155:1, 311:1 <b>shocking</b> [2] - 366:13, 366:24 <b>shoddy</b> [1] - 371:23 <b>Shorey</b> [2] - 363:11, 363:13 <b>SHOREY</b> [1] - 363:12 <b>short</b> [8] - 26:4, 92:7, 112:10, 247:24, 252:10, 263:6, 304:8, 308:3 <b>short-nosed</b> [4] - 92:7, 112:10, 252:10, 263:6 <b>shorten</b> [1] - 51:10 <b>shortest</b> [1] - 189:11 <b>shoulders</b> [1] - 356:19 <b>shovel</b> [1] - 75:6 <b>show</b> [28] - 30:1, 31:5, 36:16, 36:20, 67:3, 95:4, 99:18, 103:5, 103:6, 110:14,	111:1, 176:23, 198:23, 257:15, 262:21, 262:22, 270:2, 270:3, 270:8, 270:17, 270:24, 271:22, 277:8, 277:9, 312:17, 369:13, 378:12 <b>showed</b> [4] - 179:25, 221:16, 226:20, 235:6 <b>showing</b> [6] - 43:21, 70:25, 73:2, 73:15, 77:1, 128:21 <b>shown</b> [10] - 31:20, 31:23, 32:10, 41:14, 46:10, 50:4, 68:5, 146:22, 193:10, 273:2 <b>shows</b> [33] - 30:4, 31:16, 31:17, 31:18, 39:24, 55:11, 63:22, 63:25, 64:13, 71:14, 71:24, 80:15, 82:22, 93:23, 100:23, 103:15, 104:12, 107:13, 110:14, 110:23, 146:23, 214:14, 230:1, 253:22, 265:18, 266:18, 270:6, 273:14, 290:24, 291:1, 291:2, 291:13 <b>Shri</b> [3] - 350:18, 350:19, 354:18 <b>shrinkage</b> [1] - 294:17 <b>shrubby</b> [1] - 246:11 <b>shrubs</b> [1] - 106:6 <b>shrugged</b> [1] - 356:19 <b>shut</b> [3] - 214:15, 310:22, 323:17 <b>sic</b> [1] - 272:6 <b>side</b> [27] - 5:24, 7:3, 31:9, 43:25, 62:22, 83:5, 87:19, 95:9, 99:25, 124:19, 180:17, 181:24, 182:1, 226:15, 226:17, 226:18, 227:1, 238:2, 239:5, 274:6, 347:25, 372:25, 381:21, 382:2, 382:15 <b>sides</b> [7] - 40:5, 189:6, 308:10, 336:8, 368:11, 370:19, 385:7 <b>sight</b> [2] - 116:21, 116:22 <b>sign</b> [5] - 284:5, 284:7,	287:13, 364:11, 373:12 <b>sign-in</b> [1] - 364:11 <b>sign-up</b> [2] - 284:5, 287:13 <b>signal</b> [2] - 269:11, 274:9 <b>signed</b> [8] - 287:17, 287:18, 289:12, 292:10, 292:16, 300:21, 347:19, 364:10 <b>significance</b> [4] - 93:14, 93:15, 105:11, 106:7 <b>significant</b> [31] - 27:25, 37:10, 46:3, 94:25, 95:10, 100:11, 100:14, 101:16, 102:12, 104:3, 104:25, 105:2, 105:9, 106:16, 106:19, 106:20, 107:1, 185:23, 185:24, 186:3, 191:7, 191:17, 258:10, 278:1, 291:8, 333:13, 351:3, 356:1, 357:9, 357:11, 378:9 <b>significantly</b> [5] - 9:3, 105:14, 107:10, 231:20, 270:5 <b>signing</b> [2] - 286:25, 338:19 <b>signs</b> [2] - 116:25, 309:19 <b>silicic</b> [2] - 36:6, 36:7 <b>silos</b> [1] - 358:7 <b>similar</b> [17] - 38:24, 42:24, 54:25, 64:17, 77:9, 77:25, 81:5, 110:4, 129:9, 138:11, 146:21, 155:5, 207:12, 215:6, 226:23, 263:9, 288:9 <b>similarities</b> [1] - 200:13 <b>Similarly</b> [1] - 26:7 <b>simple</b> [7] - 205:24, 206:20, 207:6, 207:10, 207:11, 229:14, 367:1 <b>simply</b> [6] - 21:23, 30:16, 43:21, 265:4, 303:6, 347:5 <b>simulate</b> [1] - 229:21 <b>simulations</b> [5] -
--	--	---	---	--

39:12, 39:13, 39:20, 229:22, 230:21 <b>simultaneously</b> [1] - 336:15 <b>sincere</b> [1] - 354:8 <b>single</b> [6] - 128:25, 182:3, 229:5, 319:22, 359:8, 382:20 <b>sister</b> [1] - 312:23 <b>sit</b> [4] - 80:24, 143:10, 228:10, 297:21 <b>site</b> [167] - 3:25, 10:4, 11:22, 12:7, 29:9, 29:21, 29:25, 30:2, 30:4, 30:10, 30:12, 30:19, 31:2, 31:7, 31:11, 32:13, 32:15, 35:6, 35:16, 35:22, 36:4, 36:16, 38:10, 39:25, 40:3, 40:14, 46:4, 46:12, 46:17, 46:18, 46:19, 49:9, 49:22, 50:3, 50:14, 51:11, 51:14, 51:18, 52:2, 52:3, 52:4, 52:6, 52:13, 52:14, 52:25, 53:3, 54:1, 54:6, 54:8, 54:9, 57:16, 57:17, 57:18, 57:19, 59:2, 59:7, 60:13, 61:15, 63:7, 64:3, 64:7, 64:10, 67:14, 71:4, 77:6, 77:8, 77:10, 81:14, 83:16, 84:21, 84:22, 85:3, 85:25, 86:23, 87:1, 87:5, 88:3, 90:15, 90:18, 92:14, 95:20, 97:10, 97:15, 97:18, 101:15, 105:2, 105:14, 106:3, 106:11, 106:13, 107:23, 110:12, 110:14, 115:3, 115:16, 117:18, 117:20, 118:8, 119:12, 122:6, 122:7, 122:10, 124:22, 126:24, 128:4, 150:5, 155:2, 167:5, 167:11, 168:3, 179:10, 179:24, 180:4, 180:10, 181:4, 183:4, 183:5, 183:6, 185:21, 190:3, 190:10, 190:15, 197:5, 202:16, 203:4,	206:19, 214:24, 221:5, 223:23, 224:7, 224:8, 224:15, 226:11, 228:1, 230:19, 235:5, 235:8, 236:25, 237:20, 238:19, 238:24, 238:25, 239:6, 259:9, 263:16, 273:3, 285:24, 294:7, 294:13, 295:24, 296:14, 296:18, 306:3, 306:5, 306:17, 324:18, 328:3, 330:9, 330:10, 336:1, 378:7, 378:11 <b>sited</b> [1] - 104:19 <b>sites</b> [22] - 51:13, 51:16, 51:19, 51:20, 51:21, 51:24, 53:5, 76:22, 88:17, 108:5, 146:9, 208:10, 215:7, 224:10, 256:8, 290:9, 294:22, 306:14, 351:5 <b>siting</b> [12] - 30:2, 30:19, 35:23, 36:3, 36:5, 42:8, 48:25, 51:15, 57:8, 204:25, 287:3, 345:12 <b>Siting</b> [2] - 90:11, 189:25 <b>sits</b> [2] - 67:1, 94:8 <b>sitting</b> [2] - 65:18, 188:8 <b>situated</b> [1] - 50:5 <b>situation</b> [6] - 67:15, 180:3, 180:6, 189:8, 214:6, 330:2 <b>situations</b> [1] - 229:16 <b>six</b> [20] - 17:10, 42:15, 44:13, 47:24, 50:15, 50:17, 60:20, 61:12, 61:22, 75:4, 82:13, 103:3, 112:18, 112:19, 211:7, 228:16, 327:3, 361:14, 361:15, 366:14 <b>six-inch</b> [1] - 82:13 <b>six-year</b> [3] - 44:13, 60:20, 61:12 <b>sixties</b> [1] - 370:3 <b>sixty</b> [1] - 236:2 <b>size</b> [10] - 43:17, 79:17, 84:25, 99:21, 105:13, 107:13,	202:22, 242:14, 348:6, 349:9 <b>sized</b> [2] - 80:12, 85:16 <b>sizing</b> [1] - 84:3 <b>skepticism</b> [2] - 251:13, 251:20 <b>skew</b> [1] - 38:8 <b>ski</b> [1] - 349:13 <b>skidder</b> [1] - 95:19 <b>skimmer</b> [1] - 358:1 <b>skip</b> [3] - 331:15, 351:12, 354:7 <b>slid</b> [1] - 81:4 <b>slide</b> [22] - 19:15, 19:24, 20:23, 55:10, 58:10, 63:22, 64:12, 72:4, 93:23, 95:5, 99:10, 235:6, 254:25, 255:6, 270:2, 270:8, 270:18, 277:3, 289:18, 290:4, 290:24, 291:13 <b>slides</b> [9] - 53:18, 70:25, 254:24, 255:8, 256:10, 256:12, 262:22, 263:10, 289:2 <b>slight</b> [5] - 263:12, 263:20, 263:21, 276:23, 277:1 <b>slightly</b> [3] - 165:19, 251:17, 263:15 <b>slope</b> [3] - 188:23, 189:17, 189:18 <b>slopes</b> [1] - 124:19 <b>Slow</b> [1] - 250:23 <b>slow</b> [11] - 93:3, 116:8, 116:9, 121:7, 130:10, 249:18, 255:15, 321:5, 345:22, 348:12, 350:12 <b>slower</b> [2] - 233:23, 236:10 <b>slowly</b> [3] - 282:11, 285:10, 355:1 <b>sludge</b> [9] - 145:21, 146:1, 164:8, 165:18, 264:10, 327:7, 334:19, 335:12, 373:3 <b>sludges</b> [5] - 15:7, 26:12, 28:4, 126:16, 145:16 <b>small</b> [21] - 16:17, 22:8, 65:10, 73:21, 75:10, 84:15, 97:9, 99:9, 99:23, 121:12,	215:5, 220:9, 244:3, 252:21, 253:17, 275:17, 311:5, 323:14, 333:16, 336:8, 366:21 <b>smaller</b> [2] - 52:14, 115:5 <b>smell</b> [3] - 306:21, 333:9, 384:8 <b>smelled</b> [2] - 197:15, 381:9 <b>smelling</b> [1] - 381:16 <b>smells</b> [2] - 144:14, 144:15 <b>smile</b> [1] - 299:10 <b>smoltification</b> [1] - 253:6 <b>smoothly</b> [1] - 243:21 <b>SMRT</b> [1] - 8:6 <b>snowboarding</b> [1] - 349:12 <b>snowman</b> [2] - 136:14, 200:10 <b>Snowman</b> [2] - 4:10, 282:16 <b>SNOWMAN</b> [9] - 136:15, 136:25, 137:6, 137:11, 200:11, 201:6, 201:13, 201:19, 282:17 <b>society</b> [6] - 260:13, 300:10, 302:19, 303:14, 309:7, 344:2 <b>Society</b> [2] - 91:1, 358:7 <b>soft</b> [10] - 15:19, 16:1, 16:7, 25:5, 65:15, 65:16, 65:20, 172:12, 202:25 <b>soil</b> [26] - 32:3, 33:23, 33:25, 35:16, 36:3, 37:9, 39:9, 45:19, 52:1, 59:3, 63:15, 69:22, 71:17, 86:6, 121:25, 124:24, 138:21, 190:2, 190:8, 203:1, 203:2, 219:23, 222:1, 226:24 <b>soils</b> [47] - 26:24, 30:21, 31:1, 31:25, 32:4, 33:12, 35:5, 39:23, 43:16, 51:18, 54:7, 57:22, 57:24, 58:3, 58:6, 58:7, 58:22, 58:25, 59:1, 59:5, 60:17, 61:4, 61:15, 63:8, 70:2, 70:17, 70:22, 71:2,	71:3, 71:15, 71:18, 85:14, 85:25, 86:11, 86:17, 87:1, 87:3, 89:14, 105:22, 122:3, 126:17, 201:3, 202:10, 202:18, 202:20, 221:7, 221:21 <b>sold</b> [2] - 155:15, 379:15 <b>Solid</b> [11] - 2:13, 9:4, 28:20, 113:17, 159:7, 162:20, 286:19, 287:8, 301:24, 328:19 <b>solid</b> [49] - 14:15, 14:25, 15:15, 15:18, 19:16, 20:11, 21:5, 21:6, 23:13, 23:14, 24:4, 24:6, 24:22, 25:14, 27:15, 30:3, 48:12, 49:7, 57:2, 90:10, 114:13, 117:24, 118:3, 126:17, 137:19, 139:9, 140:14, 162:19, 163:22, 170:14, 176:7, 176:23, 177:17, 289:7, 289:16, 289:24, 301:17, 304:1, 312:24, 317:20, 325:22, 329:7, 329:14, 329:16, 335:16, 348:7, 362:17, 377:21, 378:24 <b>solids</b> [3] - 146:3, 352:9, 358:3 <b>solution</b> [8] - 22:4, 243:3, 243:4, 339:18, 347:3, 352:24, 365:3, 365:4 <b>solutions</b> [2] - 19:11, 167:14 <b>Solutions</b> [1] - 298:12 <b>someone</b> [14] - 17:16, 43:7, 131:22, 144:16, 195:3, 197:1, 201:18, 221:8, 237:6, 288:8, 291:23, 319:8, 328:3, 355:3 <b>someplace</b> [4] - 181:21, 300:13, 364:22, 372:7 <b>sometime</b> [1] - 198:21 <b>sometimes</b> [13] - 146:6, 149:17, 169:16, 212:20,
--	---	--	---	--

<p>229:13, 233:7, 233:8, 310:9, 357:11, 364:8, 366:24, 373:12</p> <p><b>somewhat</b> [2] - 294:10, 385:13</p> <p><b>somewhere</b> [20] - 13:23, 15:22, 17:15, 118:10, 162:1, 168:11, 171:13, 187:12, 292:8, 300:10, 303:3, 303:5, 309:3, 309:16, 309:25, 310:18, 310:19, 366:16, 371:6, 383:13</p> <p><b>soon</b> [2] - 175:3, 359:4</p> <p><b>sooner</b> [2] - 199:6, 319:24</p> <p><b>sorry</b> [30] - 55:18, 59:23, 82:23, 88:9, 93:8, 116:9, 141:6, 144:24, 153:6, 153:7, 178:24, 222:1, 234:6, 250:24, 251:6, 261:13, 264:5, 265:6, 268:25, 270:14, 274:1, 278:9, 281:11, 281:16, 299:20, 320:3, 345:24, 346:1, 348:15, 377:4</p> <p><b>Sorry</b> [2] - 141:12, 240:12</p> <p><b>sort</b> [28] - 9:17, 16:19, 22:21, 23:5, 31:12, 34:16, 35:3, 36:7, 40:8, 40:11, 45:11, 45:23, 97:24, 111:12, 150:17, 161:6, 207:5, 227:23, 228:15, 229:6, 229:8, 230:16, 240:12, 256:21, 259:17, 295:18, 359:8</p> <p><b>sorted</b> [1] - 24:15</p> <p><b>sorting</b> [1] - 22:18</p> <p><b>sorts</b> [1] - 305:20</p> <p><b>sound</b> [23] - 21:21, 115:21, 117:16, 118:5, 118:14, 129:7, 143:24, 144:3, 144:5, 144:6, 144:9, 193:15, 210:5, 220:8, 236:15, 236:20,</p>	<p>236:21, 236:22, 237:10, 304:21, 352:22, 362:2, 363:3</p> <p><b>sounding</b> [1] - 169:4</p> <p><b>source</b> [26] - 21:7, 22:16, 22:18, 25:19, 27:13, 28:10, 123:19, 167:19, 168:4, 170:19, 173:19, 175:11, 175:12, 176:18, 177:5, 185:12, 198:4, 205:21, 221:14, 228:13, 231:6, 240:11, 307:1, 307:4, 340:9, 346:5</p> <p><b>sources</b> [12] - 24:12, 76:17, 119:7, 119:16, 120:17, 155:22, 200:14, 200:15, 240:15, 245:23, 255:21, 341:24</p> <p><b>south</b> [3] - 31:13, 239:5, 360:5</p> <p><b>southeast</b> [5] - 43:11, 43:12, 47:15, 47:16, 230:18</p> <p><b>Southeast</b> [1] - 313:2</p> <p><b>Southern</b> [1] - 29:16</p> <p><b>southern</b> [4] - 147:17, 171:15, 275:11, 293:18</p> <p><b>southwest</b> [6] - 36:22, 47:13, 47:16, 110:15, 205:4, 225:12</p> <p><b>Southwest</b> [2] - 312:22, 312:25</p> <p><b>space</b> [14] - 16:14, 79:12, 147:7, 148:2, 152:4, 159:14, 188:13, 188:14, 308:3, 322:4, 329:2, 331:5, 338:15, 339:13</p> <p><b>Space</b> [2] - 268:24, 268:25</p> <p><b>spaced</b> [2] - 78:1, 207:20</p> <p><b>spaces</b> [3] - 37:9, 39:5, 39:7</p> <p><b>spacing</b> [2] - 81:22, 81:23</p> <p><b>sparkly</b> [1] - 323:12</p> <p><b>spawn</b> [1] - 267:8</p> <p><b>spawned</b> [1] - 254:7</p> <p><b>spawning</b> [4] - 252:21, 253:9,</p>	<p>253:18, 266:11</p> <p><b>speaker</b> [2] - 251:4, 358:21</p> <p><b>speaking</b> [8] - 206:25, 217:23, 237:6, 282:11, 336:2, 348:1, 358:19, 381:1</p> <p><b>spec</b> [1] - 236:18</p> <p><b>special</b> [17] - 15:5, 26:25, 93:14, 93:15, 105:11, 106:7, 126:17, 126:19, 126:20, 126:21, 127:3, 137:25, 138:6, 138:8, 159:1, 201:3, 334:1</p> <p><b>Special</b> [1] - 351:17</p> <p><b>specialist</b> [1] - 381:25</p> <p><b>Species</b> [6] - 192:10, 258:21, 261:9, 261:10, 263:2, 263:7</p> <p><b>species</b> [43] - 91:12, 94:23, 106:13, 106:17, 107:20, 110:5, 111:21, 112:12, 112:24, 113:3, 217:21, 218:11, 218:15, 218:17, 218:23, 218:24, 219:1, 219:7, 232:25, 233:1, 245:14, 252:19, 253:23, 254:1, 254:10, 254:20, 259:8, 259:11, 261:8, 261:14, 261:16, 261:23, 262:12, 262:14, 262:16, 262:17, 262:23, 262:24, 266:23, 267:1, 351:6</p> <p><b>specific</b> [19] - 54:5, 58:16, 62:2, 120:24, 126:24, 135:14, 187:13, 201:14, 201:17, 206:7, 207:25, 210:19, 217:6, 222:6, 240:16, 257:5, 264:16, 290:21, 345:4</p> <p><b>specifically</b> [9] - 6:7, 59:11, 94:19, 124:18, 157:5, 183:17, 196:19, 264:10, 268:12</p> <p><b>specifications</b> [2] - 89:2, 89:19</p> <p><b>specifics</b> [1] - 289:1</p>	<p><b>specified</b> [1] - 139:21</p> <p><b>spectrum</b> [1] - 23:22</p> <p><b>speculate</b> [1] - 133:2</p> <p><b>spencer</b> [1] - 249:17</p> <p><b>SPENCER</b> [72] - 130:13, 130:16, 131:5, 131:16, 132:3, 132:14, 132:23, 133:4, 133:11, 133:16, 133:22, 133:24, 134:9, 134:22, 134:25, 135:5, 135:17, 135:23, 136:6, 174:22, 175:9, 175:15, 175:21, 176:13, 177:2, 177:11, 177:19, 179:7, 181:3, 181:14, 182:2, 182:17, 183:2, 183:22, 184:2, 184:18, 185:6, 185:21, 186:5, 186:13, 186:20, 187:2, 187:15, 188:1, 188:12, 188:16, 188:22, 189:2, 189:19, 191:3, 192:4, 192:18, 192:25, 193:12, 193:17, 194:13, 195:13, 196:19, 197:18, 197:21, 197:25, 198:17, 199:15, 200:5, 248:9, 248:11, 248:16, 249:6, 249:20, 271:25, 279:16, 332:23</p> <p><b>Spencer</b> [20] - 4:7, 5:2, 5:4, 49:20, 78:13, 109:6, 130:9, 130:16, 174:15, 174:19, 176:4, 179:6, 231:17, 261:1, 286:7, 286:9, 325:23, 328:9, 332:21, 333:2</p> <p><b>Spencer's</b> [3] - 68:25, 225:9, 279:25</p> <p><b>spend</b> [4] - 13:12, 64:24, 293:2, 312:5</p> <p><b>spending</b> [1] - 364:4</p> <p><b>spewing</b> [1] - 324:10</p> <p><b>spill</b> [6] - 15:13, 26:24, 35:15, 42:12, 138:21, 373:15</p> <p><b>spirit</b> [1] - 354:16</p>	<p><b>Spitfire</b> [2] - 314:19, 314:22</p> <p><b>SPITFIRE</b> [2] - 314:21, 317:19</p> <p><b>split</b> [1] - 100:1</p> <p><b>SPO</b> [1] - 132:22</p> <p><b>spoken</b> [5] - 209:1, 227:17, 292:15, 314:23, 320:15</p> <p><b>spotted</b> [6] - 107:15, 107:17, 107:18, 218:21, 218:25, 219:3</p> <p><b>spray</b> [6] - 121:10, 121:16, 122:5, 196:4, 196:5, 196:12</p> <p><b>spread</b> [4] - 71:10, 85:12, 88:1, 379:23</p> <p><b>spreader</b> [1] - 85:12</p> <p><b>spreading</b> [1] - 183:13</p> <p><b>spring</b> [4] - 106:8, 319:24, 370:21, 373:25</p> <p><b>springs</b> [1] - 173:17</p> <p><b>springtime</b> [1] - 252:25</p> <p><b>Springvale</b> [2] - 2:23, 284:19</p> <p><b>spruce</b> [1] - 106:5</p> <p><b>spun</b> [1] - 67:16</p> <p><b>square</b> [1] - 105:13</p> <p><b>squeeze</b> [1] - 249:9</p> <p><b>squished</b> [1] - 336:7</p> <p><b>SSR</b> [1] - 4:10</p> <p><b>stability</b> [9] - 35:10, 85:23, 86:1, 86:13, 87:2, 367:9, 367:11, 367:12, 367:15</p> <p><b>stable</b> [3] - 46:14, 46:15, 69:24</p> <p><b>staff</b> [25] - 3:8, 5:12, 5:14, 6:1, 6:18, 40:21, 98:4, 109:10, 109:19, 115:19, 124:5, 124:6, 125:10, 127:6, 127:24, 129:5, 138:16, 169:16, 170:12, 173:2, 219:20, 225:7, 282:21, 285:2, 313:8</p> <p><b>STAFF</b> [1] - 1:22</p> <p><b>Stagecoach</b> [1] - 179:12</p> <p><b>stages</b> [2] - 184:10, 257:9</p> <p><b>stand</b> [2] - 6:11, 297:25</p> <p><b>standard</b> [18] - 19:2, 20:24, 22:6, 50:24,</p>
---	---	--	--	---

56:11, 57:7, 57:22,  
58:1, 59:25, 60:5,  
94:11, 103:1,  
161:16, 178:10,  
178:14, 330:7,  
330:14, 357:8  
**standardly** [1] - 192:1  
**standards** [41] - 19:6,  
48:20, 48:21, 49:8,  
53:23, 55:13, 56:1,  
56:2, 57:15, 57:16,  
57:17, 61:8, 61:12,  
88:20, 88:25, 90:9,  
90:10, 92:9, 92:25,  
94:21, 100:19,  
102:13, 102:16,  
117:15, 119:4,  
119:6, 119:16,  
123:19, 123:20,  
127:5, 129:13,  
153:24, 176:10,  
178:13, 185:13,  
198:5, 211:17,  
211:21, 346:22,  
352:12, 352:16  
**Standards** [2] - 90:12,  
189:25  
**standby** [1] - 242:4  
**standing** [1] - 238:9  
**standpoint** [4] -  
202:13, 202:17,  
202:23, 304:14  
**stands** [1] - 303:12  
**Stantec** [7] - 8:9,  
52:22, 91:5, 91:6,  
91:23, 92:12, 97:24  
**Stantec's** [1] - 91:14  
**stapled** [1] - 223:14  
**Staples** [5] - 309:9,  
312:16, 365:12,  
369:7, 369:8  
**STAPLES** [1] - 369:8  
**Starr** [1] - 259:16  
**start** [16] - 2:20, 30:15,  
49:21, 92:8, 130:17,  
146:19, 179:3,  
204:5, 222:23,  
225:11, 249:11,  
278:9, 288:3,  
292:21, 292:23,  
339:25  
**started** [12] - 9:18,  
75:20, 139:5,  
226:11, 243:19,  
270:19, 284:5,  
306:11, 361:6,  
361:10, 372:14,  
385:11  
**starting** [2] - 22:15,  
365:2

**starts** [1] - 221:11  
**startup** [3] - 243:19,  
243:20, 300:4  
**STATE** [2] - 1:1, 1:5  
**state** [203] - 7:13, 8:19,  
9:18, 9:21, 10:3,  
10:11, 10:13, 10:15,  
10:21, 10:22, 10:23,  
11:8, 12:8, 12:20,  
13:25, 14:1, 14:15,  
14:23, 17:9, 17:19,  
17:22, 17:23, 17:25,  
21:4, 21:9, 21:11,  
24:6, 27:16, 27:20,  
30:16, 117:8,  
125:23, 126:7,  
128:20, 128:25,  
130:23, 131:20,  
131:22, 132:15,  
133:5, 133:7,  
133:17, 133:19,  
133:20, 133:22,  
134:1, 134:3, 134:5,  
135:6, 135:13,  
136:19, 137:7,  
137:24, 138:7,  
138:20, 139:5,  
139:13, 139:16,  
139:18, 139:19,  
140:2, 140:8,  
140:11, 140:13,  
140:16, 140:19,  
140:22, 140:24,  
142:12, 147:2,  
147:4, 147:8, 149:3,  
149:13, 149:16,  
149:21, 150:20,  
152:3, 159:11,  
160:3, 160:8,  
160:12, 160:20,  
161:4, 164:9,  
166:20, 167:16,  
168:18, 170:17,  
171:13, 171:14,  
176:16, 177:3,  
177:7, 177:16,  
185:3, 186:6, 186:9,  
186:10, 200:22,  
201:11, 201:12,  
201:23, 202:4,  
202:15, 203:9,  
212:6, 212:12,  
224:11, 245:21,  
261:7, 261:17,  
268:19, 269:8,  
280:16, 289:9,  
289:11, 294:17,  
310:20, 310:22,  
314:4, 314:8,  
317:21, 317:22,  
317:24, 320:16,

320:20, 322:8,  
324:23, 325:15,  
325:18, 325:21,  
325:22, 327:13,  
327:17, 327:20,  
328:4, 328:6,  
328:21, 329:17,  
331:2, 331:10,  
331:21, 332:5,  
332:6, 332:7, 332:8,  
332:10, 332:13,  
332:16, 332:17,  
333:25, 334:2,  
334:3, 334:20,  
334:21, 334:23,  
337:3, 337:5,  
337:23, 339:12,  
339:21, 340:1,  
340:7, 340:10,  
345:2, 346:7,  
346:12, 347:5,  
347:10, 349:18,  
349:19, 349:23,  
349:25, 350:1,  
350:8, 350:9,  
351:17, 352:12,  
352:15, 354:15,  
354:16, 360:3,  
360:13, 360:14,  
360:16, 360:17,  
367:19, 371:7,  
372:17, 374:14,  
377:7, 380:21  
**State** [55] - 2:8, 10:12,  
11:24, 11:25, 18:18,  
19:9, 23:12, 29:4,  
48:9, 51:6, 55:2,  
73:23, 74:3, 76:22,  
113:15, 114:14,  
114:16, 137:19,  
155:21, 165:6,  
187:1, 195:12,  
201:4, 203:12,  
224:8, 224:10,  
232:6, 248:22,  
251:5, 284:10,  
286:3, 287:8,  
289:13, 295:12,  
310:23, 310:25,  
313:17, 315:10,  
315:16, 322:5,  
323:2, 323:7,  
327:16, 328:19,  
336:20, 342:12,  
344:13, 359:3,  
360:7, 362:18,  
362:22, 364:5,  
365:5, 375:16,  
375:25  
**state's** [9] - 14:14,  
48:19, 149:3,

158:25, 159:24,  
325:16, 331:7,  
340:14, 353:20  
**state-of-the-art** [1] -  
377:7  
**state-owned** [11] -  
8:19, 11:8, 131:20,  
168:18, 201:12,  
325:15, 328:4,  
332:10, 334:2,  
349:18, 350:9  
**statement** [7] - 75:19,  
76:4, 109:14,  
152:23, 179:17,  
261:5, 385:15  
**statements** [1] -  
261:11  
**States** [4] - 74:17,  
75:12, 255:24,  
315:12  
**states** [11] - 29:18,  
94:19, 239:22,  
262:12, 263:12,  
273:2, 331:24,  
332:4, 339:11,  
346:21, 352:2  
**statewide** [1] - 308:8  
**station** [14] - 5:23,  
77:8, 77:9, 77:17,  
77:18, 121:16,  
122:21, 123:6,  
195:21, 286:25,  
305:7, 312:24,  
361:18, 379:9  
**Station** [1] - 196:11  
**stations** [13] - 23:11,  
24:14, 77:11, 80:6,  
140:1, 201:3,  
378:24, 379:3,  
379:4, 379:6, 379:8,  
379:23  
**statistical** [1] - 191:5  
**statistics** [1] - 250:20  
**statute** [8] - 11:8,  
136:23, 136:24,  
137:10, 137:12,  
186:11, 281:12,  
334:20  
**statutes** [4] - 3:17,  
281:20, 285:16,  
345:16  
**stay** [9] - 77:19,  
130:11, 255:8,  
262:5, 269:3,  
282:11, 340:20,  
345:23, 385:13  
**stays** [2] - 174:16,  
333:8  
**Steady** [1] - 251:5  
**steady** [2] - 27:1,

320:9  
**steam** [1] - 302:24  
**steep** [1] - 189:6  
**Steinhauser** [1] - 8:7  
**stenographer** [5] -  
38:20, 93:6, 285:12,  
347:18, 355:2  
**step** [4] - 127:2, 233:8,  
323:1, 356:22  
**Stephen** [3] - 5:1,  
249:21, 286:6  
**steps** [9] - 23:16,  
97:17, 113:6, 209:5,  
303:14, 336:25,  
355:3, 366:18, 367:3  
**Steve** [5] - 1:23, 3:9,  
250:14, 285:3, 365:7  
**stew** [2] - 321:12,  
321:15  
**stick** [2] - 252:5,  
271:14  
**still** [31] - 95:23, 98:2,  
99:1, 104:10, 107:8,  
114:6, 131:9,  
131:10, 148:15,  
150:23, 151:1,  
151:3, 170:5,  
180:14, 205:23,  
213:19, 213:20,  
225:10, 309:15,  
309:23, 309:24,  
310:1, 310:18,  
319:23, 334:15,  
340:8, 359:25,  
371:5, 372:5, 380:3  
**Stillwater** [1] - 112:19  
**stipulated** [2] - 10:11,  
10:13  
**stipulations** [1] -  
219:22  
**stock** [1] - 257:5  
**stocked** [1] - 237:14  
**stockpiling** [1] -  
154:22  
**stocks** [1] - 257:6  
**stone** [8] - 73:20,  
81:11, 187:25,  
188:2, 188:3, 188:5,  
188:9  
**stop** [4] - 142:23,  
334:25, 348:11,  
353:1  
**stopped** [2] - 154:22,  
213:6  
**storage** [6] - 78:10,  
80:13, 80:15, 81:15,  
235:13, 312:25  
**store** [1] - 79:13  
**stories** [1] - 349:2  
**storm** [16] - 78:14,

78:15, 79:5, 79:11, 79:20, 79:23, 79:24, 79:25, 85:17, 88:15, 88:19, 272:11, 272:15, 273:5, 353:3	<b>stressed</b> [1] - 312:6 <b>stressors</b> [3] - 275:15, 275:20 <b>stricter</b> [1] - 220:21 <b>strictly</b> [1] - 246:8 <b>strike</b> [2] - 241:18, 241:19 <b>strikes</b> [1] - 241:16 <b>string</b> [1] - 41:22 <b>stringent</b> [1] - 123:20 <b>strip</b> [1] - 58:5 <b>striped</b> [1] - 254:11 <b>strive</b> [2] - 120:1, 359:19 <b>strong</b> [5] - 87:4, 188:15, 293:22, 301:23, 376:17 <b>stronger</b> [1] - 68:19 <b>structure</b> [4] - 85:7, 85:8, 358:5, 361:20 <b>structures</b> [5] - 85:19, 98:17, 274:22, 316:9 <b>struggling</b> [1] - 310:24 <b>students</b> [1] - 250:7 <b>studies</b> [3] - 111:14, 192:23, 212:8 <b>study</b> [5] - 51:15, 116:3, 207:22, 248:21, 319:5 <b>stuff</b> [16] - 89:20, 150:25, 299:7, 300:22, 309:1, 311:8, 319:25, 368:10, 383:4, 384:3, 384:13, 384:15, 384:20, 384:22, 384:25 <b>stunk</b> [1] - 381:15 <b>sturgeon</b> [9] - 92:7, 112:11, 252:9, 252:10, 254:10, 262:25, 263:6, 264:19 <b>stymying</b> [1] - 156:2 <b>subject</b> [14] - 10:7, 20:5, 21:6, 26:9, 27:12, 28:17, 123:19, 124:24, 166:12, 166:16, 195:11, 212:25, 288:13, 345:20 <b>subjected</b> [2] - 176:18, 185:10 <b>subjective</b> [1] - 260:14 <b>submersible</b> [1] - 207:12 <b>submit</b> [6] - 5:22, 62:3, 170:22, 225:21, 341:7,	385:18 <b>submitted</b> [13] - 89:3, 89:21, 101:3, 109:5, 157:15, 231:19, 244:18, 262:19, 289:23, 290:22, 291:17, 330:13, 337:1 <b>submitting</b> [2] - 109:1, 331:17 <b>subsequent</b> [1] - 228:8 <b>Substances</b> [2] - 352:1, 352:2 <b>substances</b> [2] - 352:10, 353:19 <b>substantial</b> [3] - 156:14, 329:15, 377:18 <b>subsurface</b> [2] - 30:17, 228:15 <b>success</b> [6] - 173:15, 303:16, 304:20, 311:4, 367:10, 375:21 <b>successful</b> [4] - 118:16, 119:25, 173:23, 212:23 <b>successfully</b> [2] - 129:2, 183:11 <b>suck</b> [1] - 382:15 <b>sudden</b> [3] - 171:19, 327:14, 345:25 <b>suddenly</b> [1] - 319:9 <b>suffering</b> [1] - 343:19 <b>sufficient</b> [6] - 26:22, 42:11, 42:16, 43:17, 44:16, 220:1 <b>sufficiently</b> [3] - 20:5, 22:7, 28:17 <b>sugar</b> [1] - 316:3 <b>suggest</b> [2] - 158:21, 271:13 <b>suggested</b> [1] - 351:23 <b>suggesting</b> [1] - 351:20 <b>suggests</b> [1] - 273:10 <b>suitable</b> [2] - 29:9, 51:17 <b>suite</b> [1] - 232:18 <b>Sulfa</b> [3] - 241:24, 242:8, 242:13 <b>sulfide</b> [23] - 119:9, 120:8, 124:12, 125:4, 125:6, 125:17, 125:20, 144:12, 197:22, 199:2, 199:4, 199:5, 199:16, 199:25,	238:15, 239:14, 239:21, 242:19, 248:13, 248:15, 248:22, 333:5, 377:8 <b>sulfur</b> [9] - 198:12, 198:13, 241:23, 242:1, 242:21, 243:6, 243:15, 244:1, 377:10 <b>sum</b> [1] - 107:22 <b>summaries</b> [1] - 262:4 <b>summarize</b> [4] - 30:10, 253:11, 256:9, 256:25 <b>summarizes</b> [1] - 97:12 <b>summary</b> [9] - 9:16, 12:23, 46:2, 113:4, 255:10, 269:9, 341:7, 347:6, 354:8 <b>summer</b> [3] - 101:4, 244:8, 373:22 <b>sump</b> [10] - 65:2, 78:22, 78:23, 79:17, 79:18, 81:11, 188:16, 206:21, 207:6, 207:10 <b>sumped</b> [1] - 235:12 <b>sumps</b> [9] - 62:23, 76:16, 77:5, 77:6, 78:3, 79:5, 80:21, 81:3, 188:20 <b>Sunkhaze</b> [1] - 318:23 <b>super</b> [1] - 324:18 <b>superimposed</b> [1] - 87:14 <b>supervision</b> [2] - 216:11, 313:10 <b>supervisor</b> [1] - 128:4 <b>supplement</b> [1] - 92:22 <b>supplemented</b> [1] - 32:25 <b>supplied</b> [2] - 28:13, 128:24 <b>supplier</b> [2] - 141:1, 142:13 <b>suppliers</b> [2] - 140:15, 220:22 <b>supplies</b> [1] - 384:19 <b>supply</b> [4] - 43:24, 128:19, 308:1, 308:3 <b>supplying</b> [1] - 220:24 <b>support</b> [17] - 24:8, 109:24, 216:11, 271:5, 284:6, 292:22, 292:23, 293:12, 300:14, 301:11, 305:23, 314:16, 358:20,	364:20, 365:5, 369:4, 380:16 <b>supported</b> [2] - 216:22, 216:23 <b>supporters</b> [1] - 301:23 <b>suppose</b> [1] - 297:24 <b>supposed</b> [5] - 127:23, 251:6, 262:3, 319:18, 339:12 <b>supposedly</b> [1] - 337:22 <b>supposition</b> [1] - 230:20 <b>sur</b> [1] - 271:11 <b>surface</b> [38] - 30:6, 31:14, 31:15, 35:5, 36:9, 40:5, 42:23, 43:9, 44:1, 46:1, 46:10, 51:23, 57:25, 58:4, 58:8, 61:9, 65:3, 85:10, 85:11, 85:13, 97:6, 125:3, 180:2, 181:6, 181:9, 181:24, 182:1, 190:9, 198:24, 213:25, 226:14, 226:22, 242:17, 242:18, 260:23, 353:6, 353:10, 353:12 <b>surges</b> [1] - 353:3 <b>surprise</b> [2] - 230:7, 230:10 <b>surprised</b> [3] - 338:1, 381:7, 381:18 <b>surprisingly</b> [1] - 381:10 <b>surrendered</b> [1] - 175:3 <b>surround</b> [1] - 40:3 <b>surrounded</b> [2] - 43:16, 188:3 <b>surrounding</b> [13] - 30:5, 41:10, 46:8, 51:23, 103:5, 134:16, 135:3, 181:4, 246:13, 273:3, 321:16, 343:20, 376:6 <b>surrounds</b> [2] - 95:3, 107:23 <b>survey</b> [16] - 74:19, 74:20, 75:3, 76:1, 76:21, 94:10, 95:25, 104:3, 104:23, 106:9, 218:15, 245:18, 290:25, 291:3, 291:5
---	--	--	---	--

<p><b>surveys</b> [18] - 33:5, 91:11, 91:16, 91:17, 91:23, 91:24, 92:9, 94:4, 94:5, 94:8, 94:11, 94:15, 97:12, 106:24, 111:3, 113:5, 120:5, 120:7</p> <p><b>susceptible</b> [2] - 87:4, 275:14</p> <p><b>suspended</b> [2] - 352:9, 358:3</p> <p><b>sustain</b> [3] - 279:24, 323:24, 375:23</p> <p><b>sustainable</b> [1] - 254:15</p> <p><b>sustainably</b> [2] - 254:13, 319:18</p> <p><b>sustains</b> [1] - 323:3</p> <p><b>sustenance</b> [5] - 345:17, 346:24, 347:9, 351:7, 352:13</p> <p><b>sustenant</b> [1] - 315:14</p> <p><b>swallow</b> [1] - 371:13</p> <p><b>Swan's</b> [1] - 313:4</p> <p><b>swell</b> [2] - 67:6, 67:13</p> <p><b>swells</b> [1] - 353:8</p> <p><b>swift</b> [1] - 253:2</p> <p><b>swim</b> [1] - 366:9</p> <p><b>swimming</b> [1] - 366:3</p> <p><b>switch</b> [1] - 99:16</p> <p><b>sworn</b> [2] - 4:12, 6:11</p> <p><b>SWPPP</b> [1] - 259:4</p> <p><b>syndrome</b> [1] - 306:8</p> <p><b>synthetic</b> [2] - 124:19, 240:21</p> <p><b>System</b> [1] - 278:12</p> <p><b>system</b> [156] - 13:11, 22:16, 34:11, 37:16, 38:5, 38:14, 41:2, 42:2, 42:3, 42:11, 45:2, 45:5, 45:8, 45:10, 45:16, 45:22, 57:2, 58:11, 58:17, 59:12, 59:15, 60:1, 60:2, 60:4, 60:10, 60:15, 63:10, 63:17, 64:14, 64:19, 65:1, 65:12, 66:20, 66:21, 66:25, 67:8, 67:9, 68:8, 68:9, 68:20, 69:2, 69:4, 69:8, 69:16, 70:4, 70:9, 70:10, 70:11, 70:12, 70:14, 70:15, 71:14, 71:24, 71:25, 72:4, 75:11, 76:2, 76:24, 77:24, 80:7, 80:8, 85:21, 90:5, 117:4, 121:10, 122:12, 122:19, 123:2,</p>	<p>123:3, 123:25, 124:2, 124:10, 124:12, 124:17, 124:18, 125:9, 126:11, 126:12, 128:10, 131:21, 184:3, 184:4, 187:3, 203:5, 203:7, 203:13, 207:19, 207:22, 207:25, 208:3, 208:7, 208:18, 208:19, 208:22, 208:23, 208:24, 209:1, 210:10, 210:22, 210:23, 211:4, 213:16, 213:17, 214:15, 214:16, 214:23, 214:25, 215:4, 215:11, 215:13, 215:14, 215:16, 215:17, 215:18, 215:19, 222:13, 223:8, 226:21, 229:4, 233:6, 235:23, 240:24, 241:8, 241:24, 241:25, 242:2, 242:5, 242:7, 242:9, 242:11, 242:13, 243:15, 243:22, 244:3, 244:8, 244:13, 247:14, 247:17, 247:18, 247:21, 247:22, 269:16, 294:15, 304:18, 316:25, 359:6, 362:17, 362:21, 377:8, 377:10, 377:21, 377:25</p> <p><b>System's</b> [1] - 18:14</p> <p><b>systems</b> [18] - 44:25, 45:14, 63:20, 71:7, 72:22, 97:7, 122:6, 129:16, 203:9, 203:11, 211:16, 214:18, 214:23, 215:8, 215:13, 231:1, 246:16, 251:21</p> <p><b>Systems</b> [2] - 10:19, 289:13</p>	<p>141:17, 172:11, 172:14, 179:5, 189:5, 213:25, 215:22, 278:21, 286:24, 287:13, 292:3, 297:21, 323:22</p> <p><b>Table</b> [2] - 141:17, 141:22</p> <p><b>tables</b> [1] - 209:14</p> <p><b>tad</b> [1] - 295:22</p> <p><b>talks</b> [2] - 209:11, 371:2</p> <p><b>tank</b> [13] - 78:10, 80:12, 80:13, 80:16, 81:15, 122:13, 122:22, 170:8, 235:14, 355:24, 356:1, 356:3</p> <p><b>tankers</b> [1] - 122:13</p> <p><b>tanks</b> [1] - 169:22</p> <p><b>TARBUCK</b> [2] - 6:21, 288:18</p> <p><b>Tarbuck</b> [8] - 1:23, 3:9, 4:19, 6:23, 285:4, 286:15, 288:16, 288:19</p> <p><b>Tarbuck@maine.gov</b> [1] - 385:21</p> <p><b>target</b> [1] - 294:25</p> <p><b>tarps</b> [1] - 121:2</p> <p><b>task</b> [2] - 264:6, 340:3</p> <p><b>taxes</b> [5] - 134:14, 134:17, 134:21, 135:1, 293:25</p> <p><b>teach</b> [3] - 250:18, 269:5, 299:14</p> <p><b>teaching</b> [1] - 250:6</p> <p><b>team</b> [1] - 98:10</p> <p><b>teamed</b> [1] - 302:8</p> <p><b>tech</b> [1] - 42:5</p> <p><b>technical</b> [6] - 203:8, 216:11, 237:13, 290:21, 330:21, 356:9</p> <p><b>technicality</b> [1] - 297:23</p> <p><b>technically</b> [1] - 356:18</p> <p><b>technique</b> [4] - 73:7, 75:13, 79:21, 155:24</p> <p><b>techniques</b> [6] - 21:16, 27:3, 57:4, 75:22, 118:21, 227:18</p> <p><b>Technologies</b> [1] - 305:7</p> <p><b>technologies</b> [3] - 20:19, 294:21, 372:4</p> <p><b>technology</b> [17] -</p>	<p>156:3, 184:15, 210:13, 211:10, 217:1, 234:18, 260:22, 295:13, 297:10, 305:20, 306:19, 306:25, 307:2, 359:1, 359:12, 359:17, 383:10</p> <p><b>teetering</b> [1] - 321:13</p> <p><b>televisions</b> [1] - 195:24</p> <p><b>temperature</b> [4] - 111:18, 111:20, 275:19, 275:21</p> <p><b>temperatures</b> [2] - 123:17, 199:23</p> <p><b>temporarily</b> [1] - 304:4</p> <p><b>temporary</b> [5] - 77:6, 77:11, 77:18, 352:24</p> <p><b>ten</b> [28] - 35:24, 38:18, 38:25, 63:15, 69:19, 71:21, 94:16, 94:22, 175:2, 178:22, 178:25, 188:19, 224:20, 224:21, 237:24, 248:7, 249:10, 266:17, 304:15, 341:18, 341:20, 348:22, 349:10, 354:19, 362:5, 369:10, 375:13, 384:2</p> <p><b>ten-minute</b> [3] - 178:22, 178:25, 354:19</p> <p><b>ten-year-old</b> [1] - 362:5</p> <p><b>tend</b> [3] - 36:20, 195:17, 195:25</p> <p><b>tends</b> [1] - 36:8</p> <p><b>tenth</b> [2] - 99:11, 100:1</p> <p><b>term</b> [23] - 51:5, 82:6, 82:18, 83:21, 86:7, 130:24, 143:25, 149:8, 175:16, 181:14, 185:25, 186:1, 186:2, 201:23, 216:4, 268:14, 325:20, 328:1, 328:5, 331:9, 346:6, 352:24</p> <p><b>termed</b> [1] - 107:2</p> <p><b>terminology</b> [1] - 210:2</p> <p><b>terms</b> [20] - 11:23, 12:12, 40:17, 40:25, 132:8, 132:15, 147:11, 177:25,</p>	<p>182:13, 182:24, 210:4, 219:22, 227:2, 231:1, 235:23, 236:23, 246:13, 289:11, 320:15, 341:17</p> <p><b>terrestrial</b> [2] - 95:3, 100:15</p> <p><b>Terri</b> [4] - 358:17, 360:20, 360:25, 363:6</p> <p><b>territories</b> [1] - 252:25</p> <p><b>territory</b> [2] - 10:7, 193:14</p> <p><b>test</b> [22] - 31:24, 32:2, 33:10, 34:7, 51:25, 52:2, 56:3, 89:13, 89:15, 191:21, 199:20, 199:22, 199:23, 199:24, 200:1, 217:7, 222:1, 224:3, 233:9</p> <p><b>tested</b> [4] - 33:14, 70:9, 73:12, 180:23</p> <p><b>testified</b> [4] - 247:23, 298:1, 322:6, 334:10</p> <p><b>testifies</b> [1] - 7:23</p> <p><b>testify</b> [7] - 287:12, 287:18, 297:25, 354:10, 354:25, 355:6, 369:12</p> <p><b>testifying</b> [2] - 5:13, 270:9</p> <p><b>testimonies</b> [1] - 4:12</p> <p><b>Testimony</b> [1] - 5:3</p> <p><b>testimony</b> [125] - 4:14, 4:16, 4:20, 4:22, 4:25, 5:6, 5:8, 5:9, 5:19, 6:6, 6:13, 8:3, 9:15, 12:18, 15:3, 28:25, 31:7, 48:5, 49:16, 49:17, 49:18, 49:21, 68:25, 74:15, 75:15, 78:12, 79:16, 87:7, 104:14, 109:5, 130:19, 145:10, 151:14, 152:21, 152:22, 153:2, 165:23, 168:15, 170:14, 173:4, 175:20, 175:22, 176:4, 184:19, 198:2, 198:4, 233:18, 234:24, 241:23, 243:8, 244:15, 244:25, 250:10, 251:8, 251:25, 252:8, 255:7, 255:9, 255:22, 256:3,</p>
	<b>T</b>			
	<p><b>T.J</b> [1] - 358:13</p> <p><b>TABLE</b> [1] - 1:18</p> <p><b>table</b> [21] - 6:1, 7:3, 27:15, 40:7, 59:16, 63:7, 63:11, 107:11,</p>			



256:8, 256:14, 257:10, 257:20, 258:24, 260:4, 261:5, 261:6, 261:12, 261:13, 261:21, 261:22, 261:25, 262:3, 262:4, 262:6, 264:5, 265:11, 265:13, 265:24, 266:18, 267:4, 268:17, 268:20, 269:13, 270:9, 270:11, 270:16, 270:24, 271:4, 271:11, 271:12, 271:14, 271:23, 273:18, 273:22, 273:25, 274:9, 276:4, 276:21, 277:14, 277:16, 280:16, 281:8, 281:10, 282:22, 283:2, 286:2, 286:6, 286:9, 286:11, 286:15, 287:10, 288:6, 288:7, 292:23, 298:3, 325:24, 330:13, 350:24, 354:20, 369:3, 385:11 <b>testing</b> [11] - 62:6, 67:20, 71:19, 89:13, 90:2, 180:24, 211:19, 221:23, 222:7, 222:13, 222:14 <b>tests</b> [6] - 32:19, 41:7, 41:14, 191:6, 197:21, 199:17 <b>thankful</b> [1] - 333:6 <b>THE</b> [2] - 1:6, 255:15 <b>theirs</b> [1] - 367:18 <b>themselves</b> [4] - 100:13, 140:6, 154:25, 167:19 <b>therefore</b> [8] - 25:10, 36:24, 48:19, 96:18, 115:16, 177:24, 195:11, 331:25 <b>they've</b> [12] - 15:7, 85:5, 137:23, 154:21, 154:22, 174:4, 220:23, 300:8, 314:5, 314:11, 376:12 <b>thick</b> [7] - 47:5, 47:7, 64:16, 66:18, 80:25, 90:1, 236:2 <b>thicker</b> [1] - 211:3	<b>thickness</b> [2] - 39:17, 68:3 <b>thinking</b> [5] - 356:1, 381:3, 381:14, 382:12, 385:1 <b>Thiopaq</b> [9] - 119:11, 124:10, 242:1, 242:5, 242:10, 242:11, 243:6, 243:15, 377:9 <b>third</b> [10] - 59:8, 108:13, 108:19, 120:23, 123:1, 152:10, 180:5, 221:8, 254:25, 339:8 <b>third-party</b> [2] - 108:13, 108:19 <b>thirds</b> [1] - 341:18 <b>Thomas</b> [2] - 1:16, 1:16 <b>Thornton</b> [2] - 365:9, 365:14 <b>THORNTON</b> [2] - 365:10, 365:13 <b>thorough</b> [2] - 202:12, 221:4 <b>thoroughly</b> [2] - 195:6, 241:8 <b>thoughts</b> [1] - 252:18 <b>thousand</b> [4] - 55:16, 196:3, 323:21, 323:22 <b>thousands</b> [4] - 194:15, 194:18, 267:8, 272:24 <b>thousandths</b> [4] - 235:24, 235:25, 236:1, 236:3 <b>threat</b> [2] - 321:22, 352:24 <b>threaten</b> [1] - 274:21 <b>threatened</b> [4] - 218:14, 258:11, 261:7, 262:25 <b>threatens</b> [1] - 336:8 <b>three</b> [55] - 9:22, 12:7, 30:17, 39:12, 47:25, 48:1, 53:12, 53:19, 53:20, 58:19, 59:17, 68:8, 69:6, 79:18, 84:17, 86:23, 86:24, 104:3, 105:1, 106:25, 114:11, 114:18, 114:20, 114:21, 115:10, 116:11, 119:4, 120:10, 120:17, 120:24, 173:16, 184:20, 187:24, 204:3, 206:18,	208:8, 208:20, 210:22, 228:2, 228:7, 241:18, 253:4, 254:7, 263:25, 267:1, 293:21, 295:21, 295:22, 331:5, 334:5, 362:6, 374:6, 381:8 <b>three-day</b> [1] - 69:6 <b>three-dimensional</b> [1] - 39:12 <b>threshold</b> [1] - 197:2 <b>thresholds</b> [1] - 107:4 <b>throw</b> [1] - 168:2 <b>throughout</b> [17] - 48:17, 94:6, 202:15, 203:9, 213:17, 257:12, 266:22, 268:10, 291:10, 304:23, 306:8, 306:12, 354:4, 367:19, 375:16, 375:21, 375:25 <b>throw</b> [5] - 144:9, 299:7, 299:15, 312:3, 384:23 <b>throwing</b> [2] - 310:13, 322:10 <b>thrown</b> [5] - 177:6, 177:9, 195:22, 369:16, 384:25 <b>thrus</b> [1] - 299:6 <b>thumb</b> [2] - 225:18, 225:19 <b>thumbed</b> [1] - 356:25 <b>thumbing</b> [1] - 357:1 <b>ticketed</b> [1] - 13:14 <b>ticking</b> [1] - 322:1 <b>tie</b> [2] - 215:18, 252:11 <b>tied</b> [3] - 77:16, 153:22, 158:3 <b>tight</b> [8] - 71:14, 71:17, 73:14, 202:19, 202:20, 202:22, 349:6 <b>tightening</b> [1] - 339:11 <b>tighter</b> [2] - 59:5, 372:20 <b>tightness</b> [1] - 61:14 <b>tile</b> [1] - 37:25 <b>timber</b> [2] - 108:4, 219:23 <b>timeframe</b> [4] - 14:7, 170:19, 182:6, 227:19 <b>timeframes</b> [1] - 229:9 <b>timeline</b> [2] - 249:3, 342:20 <b>tiny</b> [1] - 220:9	<b>tip</b> [2] - 134:13, 269:1 <b>tipping</b> [4] - 11:4, 269:25, 379:22, 380:21 <b>tired</b> [2] - 130:11, 335:23 <b>tires</b> [2] - 67:16, 306:21 <b>Title</b> [4] - 3:16, 3:17, 285:15, 285:16 <b>today</b> [30] - 2:20, 4:17, 5:21, 8:1, 10:8, 130:12, 230:24, 251:8, 271:11, 276:8, 286:2, 294:6, 314:24, 341:13, 342:19, 348:2, 348:4, 348:18, 355:18, 378:3, 381:2, 382:25, 383:2, 383:13, 383:18, 383:19, 383:20, 383:22, 384:25 <b>today's</b> [2] - 296:20, 309:6 <b>Today's</b> [1] - 4:22 <b>together</b> [12] - 56:6, 71:11, 72:3, 73:8, 87:12, 89:21, 103:19, 229:4, 235:12, 244:5, 244:6, 369:17 <b>tolerance</b> [1] - 275:19 <b>tolerant</b> [2] - 260:18, 260:20 <b>tolerate</b> [1] - 253:6 <b>tom</b> [2] - 144:19, 224:13 <b>Tom</b> [25] - 2:21, 2:22, 2:25, 7:15, 8:4, 18:5, 19:3, 29:22, 49:2, 91:20, 91:21, 114:5, 141:9, 141:11, 141:12, 143:16, 143:18, 177:20, 179:4, 209:23, 284:16, 284:20, 385:24 <b>tomatoes</b> [2] - 302:17, 335:18 <b>tomcod</b> [1] - 254:11 <b>Tomorrow</b> [1] - 286:8 <b>tomorrow</b> [12] - 5:5, 5:10, 250:8, 292:17, 292:20, 341:6, 348:25, 385:10, 385:11, 385:19, 386:1, 386:3 <b>ton</b> [3] - 159:19,	374:8, 379:14 <b>tongue</b> [1] - 269:1 <b>Toni</b> [12] - 15:1, 18:13, 18:18, 19:2, 52:16, 145:9, 161:2, 166:7, 169:20, 174:19, 177:23 <b>Toni's</b> [2] - 18:14, 18:24 <b>tonight</b> [19] - 285:3, 288:2, 292:5, 292:11, 292:15, 292:19, 298:2, 301:10, 318:9, 319:5, 328:15, 331:15, 338:25, 345:25, 354:24, 358:19, 361:22, 375:10, 385:7 <b>tonnage</b> [7] - 12:25, 14:4, 136:4, 138:5, 142:4, 148:18, 159:21 <b>tonnages</b> [2] - 135:25, 165:15 <b>tons</b> [43] - 13:23, 23:7, 23:21, 114:12, 115:9, 115:13, 116:5, 116:13, 116:14, 141:25, 142:1, 146:23, 148:7, 152:12, 155:3, 164:20, 164:22, 164:25, 165:1, 165:2, 165:18, 171:4, 171:12, 171:20, 172:13, 172:22, 223:12, 304:1, 326:1, 326:2, 326:3, 326:4, 326:15, 326:23, 326:24, 327:19, 336:6, 373:2 <b>took</b> [8] - 11:24, 103:18, 113:6, 161:10, 165:2, 182:13, 290:1, 326:22 <b>tool</b> [1] - 230:24 <b>top</b> [34] - 53:11, 63:12, 64:13, 65:19, 67:1, 72:6, 72:8, 73:3, 73:6, 73:20, 73:22, 74:12, 74:22, 81:9, 121:22, 125:1, 128:16, 152:4, 166:11, 182:14, 188:5, 210:24, 229:11, 243:25, 244:1, 249:5, 272:6,
--	--	--	---	---

278:10, 278:14, 317:1, 335:18, 336:6, 355:21, 371:21 <b>topic</b> [1] - 269:5 <b>topics</b> [2] - 8:1, 109:3 <b>topographic</b> [1] - 40:6 <b>topography</b> [10] - 37:21, 38:13, 39:15, 40:1, 40:7, 40:15, 179:25, 180:3, 213:6, 227:8 <b>Topsham</b> [1] - 91:14 <b>to</b> [1] - 67:16 <b>total</b> [17] - 50:8, 61:21, 100:17, 103:4, 103:9, 107:25, 108:1, 142:4, 148:17, 148:18, 164:20, 198:12, 225:4, 277:23, 279:15, 279:19, 323:20 <b>totaled</b> [1] - 294:3 <b>totaling</b> [1] - 134:11 <b>totally</b> [2] - 382:3 <b>touch</b> [3] - 49:16, 306:21, 342:24 <b>touched</b> [1] - 354:7 <b>touches</b> [1] - 330:23 <b>tough</b> [2] - 95:6, 371:12 <b>toward</b> [9] - 40:5, 41:13, 179:21, 179:22, 180:16, 226:6, 343:7, 343:8 <b>towards</b> [9] - 118:18, 118:20, 150:21, 237:4, 237:8, 238:3, 238:4, 344:1, 359:19 <b>towed</b> [1] - 194:19 <b>Town</b> [52] - 2:10, 4:7, 5:4, 11:12, 11:20, 13:7, 51:17, 108:11, 108:12, 108:17, 116:25, 125:14, 131:18, 131:19, 134:10, 134:19, 135:25, 136:5, 136:9, 168:24, 169:25, 170:4, 179:14, 192:21, 200:6, 244:20, 257:22, 257:23, 274:7, 276:5, 277:24, 278:17, 282:13, 284:12, 286:10, 289:8, 334:13, 335:7, 335:11, 335:12,	335:21, 340:15, 351:11, 351:15, 351:16, 356:6, 356:23, 365:19, 368:17, 368:23, 370:12 <b>town</b> [13] - 135:1, 177:8, 180:20, 324:23, 344:8, 356:23, 366:22, 379:2, 379:3, 379:23, 381:16, 384:6 <b>towns</b> [3] - 114:16, 194:2, 337:19 <b>Toxic</b> [2] - 352:1, 352:2 <b>toxic</b> [4] - 275:18, 318:25, 351:5, 351:11 <b>toxicant</b> [1] - 105:20 <b>toxicity</b> [2] - 263:23, 264:9 <b>Toxics</b> [1] - 347:23 <b>toxins</b> [8] - 264:24, 316:6, 317:4, 317:15, 321:12, 323:22, 323:23, 324:15 <b>tracer</b> [1] - 34:7 <b>track</b> [3] - 154:20, 155:2, 223:10 <b>tracking</b> [1] - 228:18 <b>tractor</b> [1] - 379:18 <b>tractor-trailers</b> [1] - 379:18 <b>Tracy</b> [6] - 293:5, 297:19, 297:20, 298:8, 298:11, 312:8 <b>trade</b> [1] - 377:8 <b>traded</b> [1] - 305:25 <b>traditional</b> [3] - 118:7, 118:15, 124:24 <b>traffic</b> [5] - 8:5, 115:22, 115:25, 129:10, 354:1 <b>trail</b> [2] - 341:23, 358:4 <b>trailer</b> [1] - 196:13 <b>trailers</b> [2] - 376:4, 379:18 <b>trained</b> [5] - 124:6, 127:24, 197:5, 197:10, 216:14 <b>tranquility</b> [1] - 344:15 <b>transcribed</b> [1] - 3:12 <b>transducers</b> [2] - 233:20, 233:25 <b>transfer</b> [17] - 23:10, 24:14, 140:1, 174:6,	195:21, 201:2, 305:7, 312:24, 361:17, 378:24, 379:2, 379:3, 379:4, 379:6, 379:8, 379:9, 379:23 <b>Transfer</b> [1] - 196:10 <b>transferred</b> [4] - 12:3, 132:20, 173:25, 217:2 <b>transformation</b> [1] - 253:5 <b>transition</b> [2] - 126:5, 365:19 <b>transmit</b> [3] - 34:1, 34:3, 34:4 <b>transmitted</b> [1] - 192:7 <b>transplant</b> [2] - 383:19, 383:21 <b>transport</b> [3] - 60:6, 61:10, 122:13 <b>Transport</b> [1] - 375:12 <b>transportation</b> [4] - 20:20, 116:3, 127:13, 128:8 <b>trash</b> [20] - 267:24, 299:7, 300:9, 305:21, 307:16, 309:14, 309:21, 310:18, 312:4, 312:11, 335:17, 338:17, 339:16, 340:12, 343:6, 354:15, 359:11, 370:8, 371:15, 384:23 <b>travel</b> [32] - 42:9, 42:15, 42:19, 43:2, 43:20, 44:8, 44:10, 56:7, 58:9, 58:13, 58:20, 58:25, 59:2, 59:18, 60:16, 61:4, 61:13, 63:18, 70:18, 70:21, 118:14, 208:19, 208:21, 208:22, 236:15, 236:19, 237:10, 238:6, 258:13, 301:8, 321:17 <b>traveling</b> [2] - 117:10, 121:16 <b>travels</b> [1] - 307:11 <b>treat</b> [1] - 214:5 <b>Treat</b> [3] - 241:24, 242:9, 242:13 <b>treated</b> [11] - 119:9, 124:10, 124:11, 149:11, 183:23, 184:1, 276:23, 319:15, 323:11,	358:8, 378:4 <b>treaties</b> [3] - 315:13, 315:16, 315:17 <b>treatment</b> [36] - 26:10, 26:12, 28:4, 83:8, 119:3, 122:14, 123:2, 123:25, 124:11, 126:16, 145:16, 145:21, 146:2, 146:3, 146:12, 164:8, 165:18, 170:1, 170:5, 192:22, 198:15, 242:7, 257:22, 257:23, 263:5, 276:6, 277:9, 277:24, 279:10, 317:11, 319:7, 323:15, 323:20, 327:7, 334:19, 378:4 <b>treatments</b> [1] - 323:13 <b>Tree</b> [10] - 196:10, 200:15, 200:23, 201:10, 201:24, 202:4, 300:1, 327:17, 327:19, 361:17 <b>tree</b> [1] - 311:8 <b>trees</b> [1] - 99:14 <b>tremendous</b> [5] - 47:8, 66:18, 308:12, 368:18, 368:23 <b>Tremont</b> [1] - 313:3 <b>trenches</b> [1] - 81:19 <b>Trenton</b> [1] - 313:3 <b>triangle</b> [2] - 240:9, 240:13 <b>tribal</b> [1] - 347:7 <b>tribes</b> [1] - 345:18 <b>tributary</b> [1] - 110:16 <b>tricky</b> [1] - 104:13 <b>tried</b> [2] - 174:13, 333:10 <b>triggered</b> [1] - 127:6 <b>trips</b> [2] - 116:10, 298:24 <b>trivial</b> [1] - 260:12 <b>Troiano</b> [1] - 358:14 <b>TROIANO</b> [2] - 358:15, 358:18 <b>trouble</b> [2] - 289:4, 330:2 <b>troubleshoot</b> [1] - 122:24 <b>troubling</b> [1] - 273:6 <b>trout</b> [2] - 112:1, 254:12 <b>TRS</b> [1] - 198:11 <b>truck</b> [15] - 116:10,	117:6, 144:13, 194:13, 194:21, 212:4, 212:7, 212:10, 304:12, 309:12, 310:8, 311:6, 354:1, 369:9 <b>trucked</b> [1] - 170:7 <b>truckers</b> [7] - 117:1, 117:2, 117:9, 117:10, 212:23, 241:12, 308:5 <b>trucking</b> [1] - 375:17 <b>trucks</b> [22] - 117:4, 121:1, 121:5, 121:10, 121:15, 121:18, 127:19, 196:9, 212:5, 212:11, 212:14, 212:15, 221:2, 241:11, 324:9, 327:14, 335:17, 356:4, 376:3, 379:4, 380:9 <b>true</b> [4] - 65:11, 167:24, 322:19, 335:24 <b>true-scale</b> [1] - 65:11 <b>truly</b> [2] - 191:18, 299:2 <b>trust</b> [1] - 305:16 <b>Trust</b> [1] - 8:25 <b>truth</b> [5] - 6:13, 6:14, 298:4, 322:2 <b>try</b> [31] - 56:22, 97:25, 98:23, 102:2, 130:22, 137:2, 149:13, 163:15, 174:25, 192:25, 211:15, 240:15, 249:9, 249:18, 255:8, 269:5, 277:22, 288:12, 292:4, 292:6, 292:7, 315:21, 336:13, 340:20, 341:3, 354:25, 356:21, 363:10, 373:20, 376:22, 380:1 <b>trying</b> [24] - 15:25, 49:18, 98:14, 101:20, 104:6, 149:4, 149:5, 164:24, 166:22, 207:23, 208:1, 237:3, 264:21, 265:19, 266:13, 267:19, 270:16, 285:11, 323:18, 328:1, 358:4, 364:4, 366:4
---	---	--	---	---

<p><b>tumbling</b> [1] - 362:22  <b>tuning</b> [1] - 199:20  <b>turbine</b> [1] - 302:24  <b>turbines</b> [1] - 311:22  <b>turn</b> [7] - 8:12, 18:10, 122:23, 141:14, 280:7, 302:11, 334:24  <b>turned</b> [5] - 131:6, 134:5, 223:24, 301:18, 335:22  <b>turning</b> [2] - 302:24, 347:4  <b>Turnkey</b> [1] - 360:13  <b>turtles</b> [1] - 352:5  <b>TV</b> [4] - 195:22, 196:2, 196:4, 196:6  <b>TVs</b> [2] - 195:18, 195:19  <b>twenties</b> [1] - 361:12  <b>Twenty</b> [1] - 317:18  <b>twice</b> [3] - 104:11, 116:22, 204:19  <b>two</b> [93] - 2:24, 12:11, 35:21, 36:21, 44:1, 44:25, 46:4, 47:8, 49:13, 53:2, 53:13, 53:14, 56:5, 60:21, 60:22, 61:21, 61:24, 62:8, 62:10, 63:20, 73:10, 73:13, 74:16, 75:11, 75:25, 77:7, 81:17, 84:14, 100:2, 119:3, 123:11, 135:7, 135:14, 150:17, 151:8, 156:3, 156:5, 158:5, 167:1, 170:16, 170:19, 174:11, 188:13, 188:19, 192:2, 192:6, 198:9, 203:16, 203:19, 204:23, 205:5, 207:5, 207:7, 208:3, 210:20, 212:13, 224:16, 224:20, 224:22, 229:11, 229:12, 230:8, 238:16, 239:1, 239:3, 241:16, 246:23, 251:9, 253:7, 254:10, 257:21, 262:23, 263:10, 266:4, 280:22, 293:18, 305:4, 309:20, 324:19, 327:22, 331:3, 338:15, 341:19, 341:25, 347:17, 347:19,</p>	<p>351:20, 353:3, 378:21  <b>two-fold</b> [1] - 123:11  <b>two-year</b> [2] - 62:8, 170:19  <b>type</b> [24] - 36:8, 54:23, 67:4, 69:5, 81:9, 83:10, 84:5, 90:7, 97:5, 99:16, 99:17, 123:8, 191:16, 191:20, 205:21, 214:7, 214:11, 215:4, 220:20, 223:8, 237:9, 246:5, 273:6  <b>Type</b> [1] - 191:12  <b>types</b> [25] - 23:22, 26:1, 27:2, 31:20, 42:24, 50:12, 54:7, 61:14, 69:4, 74:3, 75:24, 98:19, 120:10, 126:18, 192:2, 200:14, 200:16, 202:18, 207:15, 210:19, 215:8, 220:13, 245:15, 334:9  <b>typical</b> [12] - 64:14, 67:9, 81:8, 84:5, 86:13, 95:22, 203:1, 209:16, 211:18, 216:22, 227:20, 236:24  <b>typically</b> [22] - 26:7, 26:25, 41:12, 50:24, 82:20, 86:25, 102:3, 121:24, 140:1, 145:15, 173:17, 173:25, 174:9, 196:16, 198:8, 198:9, 199:5, 199:21, 200:2, 211:15, 232:17, 296:2</p>	<p><b>unable</b> [2] - 164:15, 165:12  <b>unacceptable</b> [3] - 127:25, 128:3, 128:5  <b>unalienable</b> [1] - 345:9  <b>unanticipated</b> [1] - 260:22  <b>uncertainty</b> [1] - 192:1  <b>uncontrolled</b> [1] - 215:7  <b>uncovered</b> [1] - 199:17  <b>under</b> [39] - 14:14, 46:15, 63:6, 66:14, 68:15, 68:16, 69:18, 80:19, 81:3, 100:18, 102:7, 132:6, 149:12, 149:15, 150:6, 177:25, 178:16, 182:3, 192:9, 194:21, 210:17, 229:23, 258:20, 261:14, 261:16, 263:2, 263:7, 271:5, 272:12, 275:15, 275:18, 281:6, 289:11, 313:10, 330:5, 336:3, 346:22, 351:22, 372:19  <b>underdrain</b> [11] - 63:10, 70:9, 208:9, 208:12, 208:19, 208:20, 209:14, 209:17, 216:2, 216:6, 216:7  <b>underdrains</b> [1] - 215:10  <b>underestimate</b> [1] - 275:5  <b>undergo</b> [1] - 253:4  <b>underlies</b> [1] - 37:25  <b>undermine</b> [1] - 345:7  <b>underneath</b> [10] - 36:9, 63:10, 66:21, 67:19, 81:2, 85:25, 86:6, 231:5, 231:10, 248:4  <b>understandable</b> [1] - 47:3  <b>understood</b> [1] - 172:14  <b>undeveloped</b> [1] - 10:5  <b>undisturbed</b> [2] - 110:21, 112:21  <b>unfettered</b> [1] - 303:20  <b>unfolding</b> [1] - 266:20</p>	<p><b>unforeseen</b> [1] - 304:5  <b>unfortunately</b> [7] - 71:3, 104:25, 118:9, 236:18, 237:12, 367:14, 369:22  <b>unheard</b> [1] - 195:16  <b>unique</b> [4] - 13:2, 211:24, 217:21  <b>unit</b> [1] - 220:8  <b>United</b> [4] - 74:17, 75:12, 255:24, 315:12  <b>uniting</b> [1] - 344:13  <b>units</b> [1] - 176:9  <b>Unity</b> [4] - 26:19, 146:13, 373:1, 374:24  <b>universal</b> [4] - 195:10, 195:11, 195:18, 195:20  <b>University</b> [12] - 18:20, 29:15, 29:16, 48:23, 91:2, 113:23, 114:1, 250:16, 268:23, 269:2, 335:8, 351:9  <b>unjust</b> [1] - 345:15  <b>unknowns</b> [1] - 264:21  <b>unless</b> [4] - 146:4, 212:24, 279:17, 351:21  <b>unlike</b> [1] - 253:9  <b>unlikely</b> [5] - 41:18, 88:6, 113:2, 183:8, 377:14  <b>unload</b> [4] - 121:10, 356:4, 356:6  <b>unloading</b> [1] - 356:3  <b>unmapped</b> [2] - 110:12, 110:25  <b>unnecessary</b> [1] - 303:20  <b>unorganized</b> [1] - 10:6  <b>unpredictable</b> [1] - 272:22  <b>unprocessed</b> [2] - 15:16, 15:18  <b>unreasonable</b> [4] - 20:15, 20:16, 117:14, 129:12  <b>unreasonably</b> [1] - 258:9  <b>unseen</b> [1] - 321:14  <b>UNTIL</b> [1] - 386:7  <b>unwanted</b> [1] - 144:6  <b>unweathered</b> [1] - 36:11  <b>up</b> [173] - 5:24, 14:12, 15:3, 15:25, 24:25,</p>	<p>30:13, 35:18, 36:14, 40:4, 44:15, 54:4, 58:16, 61:20, 62:2, 63:3, 64:3, 65:14, 65:20, 66:1, 67:13, 70:23, 74:12, 74:25, 75:6, 75:14, 78:11, 79:3, 80:3, 80:10, 81:12, 81:24, 82:13, 84:16, 86:6, 86:9, 86:11, 87:6, 88:25, 89:25, 98:8, 100:3, 101:21, 106:9, 107:22, 109:4, 111:1, 115:13, 123:21, 131:14, 131:21, 132:1, 148:2, 152:6, 152:13, 152:16, 156:5, 156:9, 162:9, 163:6, 164:13, 164:18, 165:12, 165:13, 169:3, 169:7, 171:16, 173:21, 173:25, 175:7, 178:10, 181:9, 181:24, 181:25, 187:15, 188:4, 188:10, 190:25, 195:20, 195:22, 197:18, 205:1, 206:5, 209:5, 211:15, 211:17, 217:4, 226:13, 228:11, 228:14, 228:16, 228:21, 228:22, 234:16, 237:1, 237:25, 242:10, 243:19, 251:6, 252:17, 260:12, 263:18, 263:19, 265:11, 265:13, 276:1, 284:5, 284:7, 286:25, 287:13, 287:17, 287:18, 287:22, 288:8, 290:13, 291:4, 291:15, 291:24, 292:10, 292:16, 293:1, 297:25, 299:18, 300:21, 301:9, 301:21, 302:8, 302:13, 305:9, 307:19, 309:9, 310:20, 311:15, 312:17, 314:7, 318:20, 320:3, 322:19, 323:16, 328:8, 329:2, 331:5,</p>
	<b>U</b>			
	<p><b>U-Maine</b> [1] - 250:17  <b>U.S</b> [7] - 192:8, 192:14, 257:4, 261:3, 262:10, 262:11, 345:16  <b>ugly</b> [1] - 322:2  <b>ultimate</b> [2] - 37:13, 163:4  <b>ultimately</b> [5] - 83:9, 163:2, 163:5, 232:8, 295:6  <b>Um-hum</b> [2] - 241:13, 278:24</p>			

333:12, 333:21, 336:4, 336:11, 337:11, 340:10, 340:13, 348:1, 349:18, 355:3, 355:4, 355:20, 360:3, 364:10, 364:14, 364:16, 365:16, 365:25, 366:10, 367:21, 368:6, 368:12, 369:20, 370:3, 372:4, 379:4, 380:21, 382:15, 384:22, 385:22 <b>update</b> [2] - 47:23, 211:22 <b>upgradient</b> [1] - 274:21 <b>upholding</b> [2] - 315:12, 315:15 <b>upland</b> [4] - 98:17, 108:7, 246:16, 258:12 <b>uplands</b> [3] - 101:15, 105:4, 108:2 <b>upper</b> [4] - 183:1, 234:3, 361:12, 362:16 <b>upset</b> [1] - 373:15 <b>upstream</b> [4] - 112:24, 220:22, 223:23, 266:24 <b>uptick</b> [1] - 297:5 <b>upward</b> [1] - 215:25 <b>upwards</b> [6] - 181:5, 181:15, 181:17, 181:18, 254:8, 375:14 <b>urbanization</b> [2] - 255:14, 255:20 <b>urethane</b> [1] - 205:22 <b>urge</b> [2] - 322:25, 330:13 <b>US</b> [1] - 351:8 <b>usage</b> [1] - 116:1 <b>useful</b> [7] - 30:16, 33:17, 34:20, 39:14, 227:6, 316:21, 343:4 <b>users</b> [3] - 40:18, 46:9, 179:11 <b>uses</b> [5] - 81:17, 185:19, 243:5, 333:22, 346:24 <b>USGS</b> [2] - 111:1, 245:22 <b>Utilities</b> [1] - 9:1 <b>utilization</b> [1] - 25:8 <b>utilize</b> [6] - 59:5, 59:21, 117:1,	122:12, 123:8, 360:9 <b>utilized</b> [3] - 28:6, 33:18, 119:14 <b>utilizing</b> [1] - 59:20 <b>Utopia</b> [1] - 370:15	<b>verify</b> [6] - 92:15, 92:24, 177:7, 177:12, 177:14, 332:17 <b>Vermont</b> [3] - 18:22, 29:15, 91:2 <b>vernal</b> [66] - 91:10, 91:17, 92:3, 94:4, 94:5, 94:10, 94:11, 94:15, 94:17, 94:18, 94:19, 94:21, 94:23, 94:24, 94:25, 95:7, 95:10, 95:18, 96:16, 96:17, 100:5, 100:6, 100:8, 100:11, 100:14, 100:23, 102:9, 102:11, 102:12, 102:18, 103:2, 103:11, 103:17, 104:2, 104:3, 104:4, 104:22, 104:23, 104:25, 105:2, 105:9, 106:9, 106:15, 106:16, 106:19, 106:20, 106:24, 106:25, 107:1, 217:17, 217:24, 218:2, 218:20, 218:24, 219:1, 219:4, 219:8, 267:15, 280:9, 291:8, 291:19, 317:23, 336:9 <b>Verrill</b> [3] - 347:20, 350:12, 350:17 <b>VERRILL</b> [3] - 350:15, 350:20, 353:18 <b>versus</b> [3] - 164:16, 246:11, 260:10 <b>vertical</b> [7] - 36:17, 36:18, 81:22, 82:3, 82:5, 123:9, 187:16 <b>vetted</b> [1] - 223:17 <b>via</b> [2] - 192:7, 244:23 <b>viable</b> [1] - 173:5 <b>vicinity</b> [1] - 231:16 <b>Victoria</b> [3] - 1:23, 3:9, 285:4 <b>video</b> [1] - 272:8 <b>view</b> [5] - 149:3, 251:22, 267:14, 279:22, 281:23 <b>viewing</b> [1] - 260:4 <b>Village</b> [1] - 374:23 <b>Viola</b> [1] - 351:14 <b>violate</b> [2] - 119:3, 119:5 <b>violated</b> [1] - 314:4 <b>violating</b> [1] - 354:15	<b>violation</b> [1] - 344:25 <b>virgin</b> [2] - 25:8, 121:25 <b>visit</b> [15] - 64:3, 71:4, 77:10, 80:19, 115:4, 119:12, 122:7, 122:10, 124:22, 197:6, 239:6, 246:1, 247:5, 378:11 <b>visited</b> [1] - 307:10 <b>visual</b> [2] - 8:6, 245:13 <b>visualize</b> [2] - 115:3, 124:22 <b>visually</b> [1] - 127:16 <b>vital</b> [1] - 303:16 <b>VOCs</b> [1] - 222:2 <b>voices</b> [2] - 350:13, 355:2 <b>volatile</b> [2] - 222:2, 222:3 <b>volatiles</b> [2] - 222:16, 222:17 <b>Volume</b> [6] - 187:11, 258:8, 259:3, 262:12, 263:11, 273:2 <b>volume</b> [16] - 16:6, 22:23, 24:6, 24:25, 26:22, 28:8, 65:17, 115:12, 147:23, 148:4, 160:22, 164:16, 301:20, 302:12, 338:20, 374:20 <b>volumes</b> [4] - 171:10, 209:2, 264:23, 302:11 <b>voluntarily</b> [1] - 248:25 <b>voluntary</b> [1] - 21:7 <b>volunteer</b> [1] - 194:20 <b>volunteers</b> [1] - 315:24 <b>vote</b> [1] - 372:2 <b>voted</b> [1] - 108:18 <b>vulnerable</b> [3] - 275:12, 324:21, 345:15	<b>wander</b> [1] - 271:15 <b>wandering</b> [1] - 288:14 <b>wants</b> [5] - 40:4, 265:23, 292:11, 358:24, 364:7 <b>warm</b> [1] - 121:4 <b>warmer</b> [1] - 275:15 <b>warming</b> [12] - 252:17, 268:8, 269:11, 269:14, 269:18, 269:21, 272:25, 274:10, 274:14, 275:4, 275:8, 275:13 <b>warn</b> [1] - 269:24 <b>warned</b> [1] - 212:15 <b>warning</b> [4] - 45:22, 241:15, 247:22, 340:22 <b>waste</b> [370] - 9:25, 12:24, 13:1, 13:21, 13:22, 14:2, 14:15, 14:16, 14:21, 14:25, 15:12, 15:16, 15:18, 15:21, 16:2, 16:7, 19:12, 19:13, 19:19, 19:20, 20:4, 20:9, 20:11, 20:13, 20:14, 20:22, 21:5, 21:6, 21:15, 21:17, 21:18, 21:21, 21:24, 22:9, 22:11, 23:13, 23:14, 23:21, 23:22, 24:1, 24:4, 24:6, 24:9, 24:22, 24:25, 25:7, 25:11, 25:14, 26:7, 26:25, 27:1, 27:2, 27:7, 27:9, 27:11, 27:15, 27:18, 27:21, 28:8, 28:16, 28:19, 28:21, 28:22, 30:3, 48:12, 49:7, 50:12, 50:22, 51:8, 52:15, 52:19, 64:21, 64:22, 65:14, 65:17, 65:21, 65:25, 80:19, 81:20, 81:21, 81:23, 82:5, 82:12, 84:12, 86:16, 86:22, 89:24, 90:7, 90:10, 114:14, 114:21, 114:23, 115:2, 115:8, 116:5, 117:24, 118:3, 120:19, 120:22, 120:25, 121:11, 121:23, 122:8, 123:10, 124:21, 126:5, 126:6, 126:8, 126:21, 127:4, 127:5, 127:9,
	<b>V</b>			
	<b>Vacationland</b> [1] - 320:19 <b>vacuum</b> [2] - 124:3, 199:24 <b>valid</b> [2] - 213:19, 281:6 <b>value</b> [14] - 91:9, 93:16, 96:1, 104:4, 105:5, 105:16, 217:19, 217:20, 218:8, 218:14, 218:19, 260:16, 260:17, 260:19 <b>values</b> [9] - 96:7, 96:14, 105:15, 218:9, 245:2, 245:5, 245:9, 245:13, 260:14 <b>vanadium</b> [1] - 352:11 <b>variability</b> [2] - 60:1, 269:12 <b>variable</b> [1] - 275:16 <b>varieties</b> [1] - 318:22 <b>variety</b> [6] - 27:14, 91:7, 246:10, 253:16, 255:12, 326:22 <b>various</b> [14] - 20:22, 21:15, 25:17, 37:5, 50:1, 61:8, 64:25, 89:12, 117:20, 126:18, 191:8, 229:8, 245:23, 363:16 <b>vary</b> [2] - 54:7, 207:24 <b>vast</b> [2] - 152:14, 171:17 <b>Veazie</b> [2] - 3:1, 284:13 <b>vegetation</b> [2] - 105:23, 105:24 <b>vegetative</b> [1] - 64:15 <b>vein</b> [1] - 328:24 <b>velocities</b> [4] - 33:21, 33:22, 34:15, 38:15 <b>velocity</b> [6] - 34:6, 34:8, 34:12, 188:22, 189:7, 189:17 <b>vendor</b> [2] - 303:24, 367:18 <b>verbatim</b> [1] - 273:22 <b>verified</b> [1] - 92:20			
	<b>W</b>			
			<b>wade</b> [1] - 315:21 <b>wait</b> [1] - 75:9 <b>waiting</b> [1] - 321:14 <b>walk</b> [2] - 246:19, 277:10 <b>walking</b> [2] - 75:4, 206:2 <b>walled</b> [1] - 78:4 <b>wand</b> [1] - 307:18	

<p>127:17, 127:18, 129:8, 129:9, 129:18, 131:23, 132:17, 135:8, 135:16, 137:19, 138:6, 138:8, 138:22, 139:5, 139:10, 139:16, 139:18, 139:19, 140:2, 140:8, 140:13, 140:15, 140:16, 140:18, 140:22, 140:24, 141:3, 146:20, 147:6, 147:19, 148:10, 153:12, 153:16, 154:16, 154:22, 154:23, 155:4, 155:14, 157:11, 157:13, 159:1, 160:13, 161:22, 162:17, 162:19, 163:1, 163:6, 163:22, 167:24, 170:15, 170:17, 171:10, 171:18, 172:7, 173:7, 173:14, 173:21, 175:11, 175:17, 176:23, 177:17, 182:13, 184:20, 184:21, 185:2, 185:4, 185:8, 186:6, 186:9, 186:11, 186:14, 186:16, 186:17, 186:22, 186:24, 186:25, 187:17, 188:8, 195:10, 195:11, 195:19, 195:20, 199:6, 199:9, 200:14, 200:21, 200:22, 201:7, 201:11, 201:12, 202:4, 215:1, 221:2, 221:10, 224:8, 224:9, 240:14, 240:17, 240:23, 241:4, 242:22, 244:16, 244:17, 254:17, 268:14, 289:7, 289:16, 289:24, 294:17, 294:20, 296:1, 296:2, 296:4, 296:8, 296:16, 296:24, 297:1, 297:13, 301:6, 301:17, 301:20, 302:5, 302:11, 302:12,</p>	<p>302:16, 303:2, 303:14, 303:19, 304:1, 304:8, 304:18, 304:21, 305:14, 308:7, 309:2, 309:15, 309:16, 309:24, 309:25, 312:24, 312:25, 313:8, 316:16, 316:18, 316:20, 316:24, 317:20, 321:8, 322:7, 322:11, 323:6, 324:13, 324:25, 325:1, 325:17, 325:18, 325:22, 325:25, 326:9, 327:5, 327:11, 327:12, 327:13, 327:14, 327:17, 329:7, 329:14, 329:16, 331:2, 331:20, 332:4, 332:8, 332:16, 332:18, 334:8, 334:9, 334:21, 334:23, 335:16, 336:6, 337:12, 337:14, 337:20, 337:23, 338:3, 338:12, 338:19, 338:21, 338:25, 339:3, 339:5, 339:7, 339:8, 339:9, 339:12, 340:7, 340:13, 341:4, 343:7, 343:23, 344:2, 347:5, 348:7, 349:15, 349:19, 349:20, 349:23, 349:25, 350:1, 350:8, 354:8, 354:16, 358:25, 359:10, 359:13, 359:23, 360:3, 360:4, 360:6, 360:10, 362:17, 369:1, 370:22, 371:6, 371:12, 372:5, 372:6, 377:22, 377:23, 378:24, 379:2, 379:4, 379:7, 379:8, 379:10, 379:11, 379:25, 380:3, 380:12, 380:14, 380:18, 381:24, 381:25, 382:1, 382:20, 382:21, 383:13, 384:2,</p>	<p>384:10 <b>Waste</b> <sup>[34]</sup> - 2:12, 2:13, 9:4, 10:19, 18:14, 18:23, 19:1, 19:16, 20:12, 23:17, 28:20, 113:17, 159:7, 162:20, 165:23, 166:21, 178:1, 178:2, 178:5, 178:14, 185:7, 278:12, 286:19, 287:9, 288:20, 289:13, 301:24, 305:6, 328:19, 378:21, 378:22, 378:25 <b>waste-related</b> <sup>[1]</sup> - 120:19 <b>wastes</b> <sup>[27]</sup> - 12:20, 15:4, 15:6, 126:10, 126:15, 126:17, 126:18, 126:19, 126:20, 127:3, 130:23, 135:10, 135:12, 137:25, 160:15, 172:3, 175:9, 176:7, 176:14, 176:17, 185:10, 185:14, 200:16, 201:3, 205:15, 302:17 <b>wastewater</b> <sup>[20]</sup> - 26:11, 28:4, 126:16, 145:15, 145:21, 146:2, 146:11, 164:8, 165:18, 170:1, 170:5, 170:6, 192:21, 257:23, 276:6, 317:11, 323:20, 327:7, 334:19, 378:4 <b>WasteZero</b> <sup>[1]</sup> - 302:8 <b>watch</b> <sup>[2]</sup> - 128:1, 355:21 <b>watched</b> <sup>[1]</sup> - 323:17 <b>watching</b> <sup>[3]</sup> - 240:24, 326:11, 363:17 <b>Water</b> <sup>[5]</sup> - 92:11, 264:11, 315:11, 346:17, 352:14 <b>water</b> <sup>[129]</sup> - 5:23, 32:20, 41:11, 42:23, 43:9, 43:24, 44:2, 60:15, 61:6, 61:8, 61:9, 61:12, 62:16, 62:21, 63:7, 63:11, 65:3, 66:6, 67:6, 67:11, 67:20, 69:14, 70:15, 70:16, 70:20, 74:12, 78:1, 78:2,</p>	<p>78:20, 79:13, 79:25, 81:5, 81:8, 81:12, 81:13, 82:10, 82:15, 84:7, 84:12, 85:9, 85:13, 85:18, 85:19, 93:20, 97:6, 105:20, 111:21, 120:21, 180:23, 183:11, 183:23, 183:25, 189:6, 190:3, 190:10, 190:12, 190:14, 190:18, 191:1, 191:8, 191:14, 191:18, 194:15, 207:24, 208:17, 209:7, 209:16, 213:23, 213:24, 213:25, 215:15, 215:16, 215:18, 215:22, 216:1, 216:8, 228:4, 231:17, 231:21, 231:25, 232:10, 232:24, 233:4, 253:6, 253:14, 260:23, 269:19, 286:25, 287:5, 287:6, 299:12, 315:5, 316:1, 316:2, 316:6, 316:7, 316:8, 316:11, 317:16, 317:17, 317:21, 323:23, 329:17, 336:7, 336:14, 336:16, 345:1, 346:12, 346:18, 346:21, 346:22, 347:13, 350:22, 351:5, 352:12, 352:15, 353:10, 353:12, 353:22, 366:10, 382:5, 384:7 <b>waterbodies</b> <sup>[1]</sup> - 181:6 <b>Waterbodies</b> <sup>[1]</sup> - 101:10 <b>waters</b> <sup>[17]</sup> - 30:6, 46:1, 46:10, 51:23, 181:9, 181:24, 182:1, 324:15, 336:5, 345:19, 345:20, 352:25, 353:7, 353:8, 353:20, 354:12, 382:19 <b>watershed</b> <sup>[12]</sup> - 193:8, 252:16, 257:13, 260:4, 260:6, 267:16, 267:19, 268:3, 275:17, 280:20,</p>	<p>319:1, 325:2 <b>Watershed</b> <sup>[1]</sup> - 251:2 <b>watershed-wide</b> <sup>[1]</sup> - 268:3 <b>watersheds</b> <sup>[1]</sup> - 258:15 <b>waterskiing</b> <sup>[1]</sup> - 366:4 <b>waterways</b> <sup>[1]</sup> - 346:15 <b>wave</b> <sup>[1]</sup> - 307:18 <b>waves</b> <sup>[1]</sup> - 236:16 <b>Wayne</b> <sup>[1]</sup> - 353:5 <b>ways</b> <sup>[9]</sup> - 81:18, 299:9, 328:22, 351:8, 352:13, 360:6, 361:20, 363:21, 372:4 <b>wearing</b> <sup>[1]</sup> - 299:11 <b>weather</b> <sup>[4]</sup> - 79:4, 121:4, 260:22, 322:22 <b>weathered</b> <sup>[1]</sup> - 36:9 <b>weathering</b> <sup>[2]</sup> - 36:10, 124:25 <b>web</b> <sup>[2]</sup> - 131:20, 256:8 <b>website</b> <sup>[4]</sup> - 4:21, 244:23, 256:5, 286:17 <b>wedge</b> <sup>[2]</sup> - 73:9 <b>wee</b> <sup>[1]</sup> - 321:3 <b>weeding</b> <sup>[1]</sup> - 333:9 <b>week</b> <sup>[2]</sup> - 79:1, 119:22 <b>weeks</b> <sup>[2]</sup> - 198:9, 247:25 <b>weight</b> <sup>[8]</sup> - 24:24, 27:23, 86:4, 86:10, 86:11, 86:21, 212:7, 212:12 <b>weights</b> <sup>[3]</sup> - 212:4, 212:7, 212:10 <b>welcome</b> <sup>[2]</sup> - 7:12, 378:10 <b>weld</b> <sup>[2]</sup> - 73:9 <b>welfare</b> <sup>[3]</sup> - 323:25, 329:19, 344:16 <b>well-operate</b> <sup>[1]</sup> - 301:12 <b>well-run</b> <sup>[1]</sup> - 307:8 <b>well-trained</b> <sup>[1]</sup> - 216:14 <b>wellbeing</b> <sup>[2]</sup> - 320:24, 321:23 <b>Wellman</b> <sup>[2]</sup> - 377:4, 378:17 <b>WELLMAN</b> <sup>[1]</sup> - 378:18 <b>wells</b> <sup>[32]</sup> - 32:8,</p>
---	--	---	--	--

<p>32:10, 41:7, 41:9, 41:22, 42:22, 43:6, 43:25, 44:18, 45:11, 45:13, 45:20, 45:22, 82:4, 82:5, 82:23, 82:24, 83:2, 123:22, 183:18, 183:19, 184:15, 187:16, 187:18, 187:19, 190:19, 214:10, 229:6, 231:3, 231:13, 232:21, 232:23</p> <p><b>Wells</b> [2] - 2:22, 284:18</p> <p><b>West</b> [1] - 37:24</p> <p><b>west</b> [5] - 31:15, 43:25, 181:20, 181:25, 182:1</p> <p><b>Westbrook</b> [1] - 151:18</p> <p><b>western</b> [2] - 117:23, 118:2</p> <p><b>wet</b> [4] - 82:15, 205:23, 226:13, 241:6</p> <p><b>wetland</b> [58] - 49:14, 51:23, 52:24, 53:10, 53:14, 90:25, 91:6, 91:8, 91:9, 91:13, 91:17, 92:2, 92:13, 92:15, 92:20, 92:23, 92:24, 94:2, 97:5, 97:7, 97:22, 97:23, 98:8, 99:8, 99:10, 99:17, 99:20, 99:21, 99:22, 100:3, 101:9, 101:16, 102:22, 104:4, 205:5, 220:13, 245:2, 245:4, 246:6, 246:7, 246:8, 246:9, 246:20, 246:22, 247:2, 247:5, 255:13, 255:19, 258:10, 290:25, 291:5, 291:16, 291:19, 324:19, 350:20</p> <p><b>Wetland</b> [2] - 91:1, 94:9</p> <p><b>wetlands</b> [69] - 53:7, 92:17, 92:20, 93:10, 93:12, 93:13, 93:15, 93:16, 93:18, 93:19, 94:1, 96:6, 96:9, 96:12, 96:15, 96:17, 96:23, 97:2, 97:4, 97:10, 98:20, 99:6, 99:7, 99:12, 99:15,</p>	<p>99:19, 99:23, 100:2, 101:14, 103:12, 104:1, 105:4, 105:5, 105:8, 105:9, 105:10, 105:14, 105:18, 106:7, 106:14, 108:6, 108:7, 204:12, 217:17, 217:24, 218:2, 218:7, 218:10, 218:12, 218:19, 245:25, 246:4, 246:15, 246:17, 253:21, 258:21, 267:15, 280:9, 287:8, 291:6, 316:14, 316:17, 317:23, 321:16, 346:16</p> <p><b>Wetlands</b> [1] - 101:10</p> <p><b>wettest</b> [1] - 80:17</p> <p><b>whatnot</b> [1] - 311:22</p> <p><b>Wheelerabrator</b> [1] - 360:9</p> <p><b>whereas</b> [1] - 107:15</p> <p><b>white</b> [3] - 104:21, 118:5, 118:11</p> <p><b>whole</b> [16] - 6:13, 64:7, 68:20, 69:11, 106:16, 111:6, 167:17, 181:11, 230:12, 239:21, 254:9, 298:4, 325:15, 339:25, 357:1, 384:18</p> <p><b>wholly</b> [2] - 93:11, 99:7</p> <p><b>wide</b> [5] - 72:2, 253:16, 263:8, 268:3, 347:24</p> <p><b>widespread</b> [2] - 136:17, 137:1</p> <p><b>width</b> [1] - 112:6</p> <p><b>wife</b> [1] - 362:4</p> <p><b>wild</b> [1] - 257:3</p> <p><b>Wildlife</b> [8] - 94:14, 109:10, 109:17, 192:8, 192:14, 259:12, 261:4, 262:11</p> <p><b>wildlife</b> [11] - 91:11, 96:14, 96:18, 105:17, 245:9, 258:10, 259:16, 275:10, 346:15, 346:20</p> <p><b>Wilkinson</b> [1] - 111:17</p> <p><b>Willey</b> [2] - 380:24, 380:25</p> <p><b>WILLEY</b> [1] - 380:25</p>	<p><b>Williams</b> [1] - 377:3</p> <p><b>willing</b> [3] - 322:1, 369:2, 376:13</p> <p><b>win</b> [1] - 314:10</p> <p><b>wind</b> [1] - 238:22</p> <p><b>winter</b> [2] - 228:3, 252:24</p> <p><b>Winterport</b> [1] - 378:23</p> <p><b>wired</b> [2] - 80:6, 80:7</p> <p><b>wisdom</b> [1] - 75:17</p> <p><b>wise</b> [1] - 367:5</p> <p><b>wisely</b> [1] - 16:15</p> <p><b>wish</b> [1] - 187:14</p> <p><b>wishes</b> [2] - 156:25, 158:10</p> <p><b>withstand</b> [2] - 187:10, 275:17</p> <p><b>withstanding</b> [1] - 272:19</p> <p><b>witness</b> [18] - 5:1, 5:22, 7:8, 8:14, 8:18, 18:12, 29:2, 47:22, 48:5, 90:24, 113:13, 191:4, 265:9, 282:15, 286:7, 320:10, 320:14</p> <p><b>witnesses</b> [9] - 4:24, 6:10, 7:23, 47:24, 136:12, 194:8, 200:9, 264:6, 286:11</p> <p><b>WITNESSES</b> [2] - 6:15, 298:5</p> <p><b>woman</b> [1] - 351:22</p> <p><b>wondered</b> [1] - 357:13</p> <p><b>wonderful</b> [5] - 230:20, 319:23, 322:8, 322:11, 363:23</p> <p><b>wondering</b> [2] - 142:23, 225:16</p> <p><b>wood</b> [14] - 24:15, 25:16, 107:5, 107:15, 122:2, 151:12, 151:17, 173:17, 174:8, 176:1, 218:25, 367:24, 368:10, 379:11</p> <p><b>woods</b> [1] - 368:22</p> <p><b>Worcester</b> [3] - 312:19, 312:21</p> <p><b>WORCESTER</b> [1] - 312:21</p> <p><b>word</b> [5] - 317:10, 329:21, 329:23, 336:2, 376:15</p> <p><b>words</b> [12] - 16:10, 38:2, 134:1, 134:3, 135:17, 142:14,</p>	<p>149:3, 160:16, 226:21, 226:24, 319:3, 320:19</p> <p><b>workings</b> [1] - 361:20</p> <p><b>works</b> [3] - 61:24, 79:21, 251:6</p> <p><b>world</b> [8] - 55:19, 299:5, 305:19, 307:12, 320:20, 321:23, 322:18, 323:25</p> <p><b>worry</b> [2] - 382:4, 382:5</p> <p><b>worse</b> [2] - 321:25, 368:24</p> <p><b>worth</b> [3] - 109:7, 111:5, 152:4</p> <p><b>wrap</b> [2] - 30:13, 252:17</p> <p><b>write</b> [1] - 197:14</p> <p><b>writing</b> [4] - 5:23, 331:18, 351:13, 376:12</p> <p><b>written</b> [14] - 117:2, 143:5, 233:18, 250:10, 252:7, 257:20, 261:20, 262:4, 268:21, 276:20, 325:24, 341:7, 370:13, 385:15</p> <p><b>wrote</b> [3] - 204:11, 281:9, 348:22</p>	<p>120:13, 141:25, 142:2, 154:8, 154:16, 155:3, 169:12, 170:19, 172:3, 172:22, 194:14, 197:19, 211:20, 213:13, 229:9, 254:6, 254:7, 267:6, 271:20, 295:4, 295:11, 304:2, 326:15, 342:20, 343:1, 362:5, 373:3, 373:25, 374:8, 379:13, 383:6, 383:7</p> <p><b>years</b> [101] - 29:5, 29:17, 29:25, 31:17, 34:25, 44:8, 47:9, 48:11, 48:15, 54:20, 57:12, 61:21, 61:24, 62:10, 75:18, 76:7, 76:15, 76:16, 79:22, 114:11, 114:20, 114:21, 115:7, 115:11, 116:15, 128:15, 130:25, 131:13, 135:7, 147:16, 148:6, 149:11, 150:13, 170:16, 182:5, 182:8, 182:16, 188:19, 210:20, 210:22, 229:12, 230:25, 253:4, 253:8, 266:7, 266:17, 266:24, 270:6, 274:13, 293:21, 295:21, 295:22, 301:16, 302:1, 303:24, 304:18, 305:13, 305:17, 307:11, 309:2, 314:5, 324:16, 326:16, 326:24, 327:3, 327:22, 335:8, 338:15, 340:17, 342:9, 342:22, 348:22, 349:10, 361:7, 361:9, 361:14, 361:16, 363:16, 366:11, 366:15, 369:10, 371:20, 374:6, 375:13, 375:14, 376:2, 376:9, 376:22, 380:4, 383:2, 383:3, 383:9, 383:10, 383:12, 383:19, 383:23, 383:25, 384:2</p>
<b>X</b>				
XYZ [1] - 142:15				
<b>Y</b>				
<p><b>yard</b> [7] - 2:9, 16:4, 152:4, 284:11, 289:21, 341:16, 367:24</p> <p><b>yards</b> [8] - 16:10, 18:8, 52:9, 53:4, 62:11, 114:18, 115:5, 373:4</p> <p><b>Yarmouth</b> [2] - 2:24, 284:20</p> <p><b>year</b> [65] - 11:7, 11:18, 13:9, 23:25, 38:18, 38:21, 44:13, 50:16, 50:17, 60:20, 61:12, 62:8, 62:12, 63:18, 63:24, 63:25, 64:4, 64:5, 69:21, 71:23, 79:24, 85:17, 87:14, 114:12, 115:9, 115:13, 116:6, 116:13, 116:15,</p>				

**years'** [1] - 42:15  
**yellow** [1] - 218:25  
**York** [3] - 305:15,  
306:12, 306:16  
**young** [2] - 252:24,  
370:2  
**youngster** [1] - 305:24  
**yourself** [2] - 232:6,  
287:20  
**yup** [4] - 16:24,  
204:22, 384:15

## Z

**zero** [19] - 22:16,  
22:21, 23:5, 86:24,  
116:16, 271:21,  
294:20, 295:18,  
303:13, 343:7,  
343:8, 344:1, 351:1,  
351:24, 359:8,  
359:13, 366:7, 372:6  
**zigzag** [1] - 62:20  
**zinc** [1] - 352:12  
**Ziploc** [1] - 124:21  
**zone** [4] - 43:10,  
43:11, 44:3, 236:14